

Commission of Inquiry into the Decline of  
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des  
populations de saumon rouge du fleuve Fraser

## Public Hearings

## Audience publique

**Commissioner**

L'Honorable juge /  
The Honourable Justice  
Bruce Cohen

**Commissaire**

**Held at:**

Room 801  
Federal Courthouse  
701 West Georgia Street  
Vancouver, B.C.

Wednesday, January 26, 2011

**Tenue à :**

Salle 801  
Cour fédérale  
701, rue West Georgia  
Vancouver (C.-B.)

le mercredi 26 janvier 2011

## **APPEARANCES / COMPARUTIONS**

Wendy Baker, Q.C. Maia Tsurumi	Associate Commission Counsel Junior Commission Counsel
Mitch Taylor, Q.C. Hugh MacAulay Jonah Spiegelman	Government of Canada ("CAN")
Boris Tyzuk, Q.C.	Province of British Columbia ("BCPROV")
John Hunter, Q.C.	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
Charlene Hiller	Rio Tinto Alcan Inc. ("RTAI")
Shane Hopkins-Utter	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
No appearance	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

**APPEARANCES / COMPARUTIONS, cont'd.**

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Chris Watson	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
No appearance	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout)
No appearance	Adams Lake Indian Band
No appearance	Carrier Sekani Tribal Council ("FNC")
No appearance	Council of Haida Nation

**APPEARANCES / COMPARUTIONS, cont'd.**

No appearance	Métis Nation British Columbia ("MNBC")
No appearance	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid Aboriginal Aquaculture Association ("LJHAH")
Lisa Fong Benjamin Ralston	Heiltsuk Tribal Council ("HTC") Articled Student
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")

**TABLE OF CONTENTS / TABLE DES MATIERES**

	PAGE
SUE GRANT	
In chief by Ms. Baker	1/28/53
Cross-exam by Mr. Taylor	61
Cross-exam by Mr. Leadem	67
Cross-exam by Ms. Gaertner	72
Questions by the Commissioner	80
MICHAEL LAPOINTE	
In chief by Ms. Baker	82/94/97
BRIAN RIDDELL	
In chief by Ms. Baker	93/96/99

**EXHIBITS / PIECES**

<u>No.</u>	<u>Description</u>	<u>Page</u>
350	<i>Curriculum vitae</i> of Sue Grant	2
351	CSAS Research Document 2006/060 "Pre-season run size forecasts for Fraser River sockeye for 2006", A. Cass et al	16
352	Pre-Season Run Size Forecasts for Fraser River Sockeye Salmon in 2010	29
353	Hydroacoustic Working Group Meeting (HaWG) - 14&15 Dec 2004 - Review of 2004 of Mission Hydroacoustic Program	90

1  
Sue Grant  
In chief by Ms. Baker

1 Vancouver, B.C. /Vancouver (C.-B.)  
2 January 26, 2011/le 26 janvier  
3 2011  
4

5 THE REGISTRAR: The hearing is now resumed.

6 MS. BAKER: Thank you, Mr. Commissioner. Today we are  
7 starting on the topic of Forecasting, and we have  
8 with us Ms. Sue Grant.

9 THE REGISTRAR: Good morning.

10  
11 SUE GRANT, affirmed.  
12

13 THE REGISTRAR: Would you state your full name, please.

14 A Sue Grant.

15 THE REGISTRAR: Thank you.

16 MS. BAKER: Thank you.  
17

18 EXAMINATION IN CHIEF BY MS. BAKER:  
19

20 Q Ms. Grant, I am just going to go through a bit of  
21 your background with the Commissioner. Your c.v.  
22 has been provided and it's in Tab 1 at the  
23 materials we have given you, and it is CAN185936.  
24 You have a Bachelor of Science in Marine Biology  
25 from McGill?

26 A Yes.

27 Q And a Master of Science in Environmental Biology  
28 and Ecology from the University of Alberta?

29 A Yes, that's correct.

30 Q And you are presently doing graduate work in  
31 Quantitative Methods in Fisheries Management?

32 A Yes -- it's part of a diploma, select courses.

33 Q Okay. And that's at Simon Fraser University?

34 A Yes.

35 Q And at Simon Fraser you're working with Dr.  
36 Randall Peterman on some courses?

37 A No, it's a variety of professors that I've taken  
38 individual courses with to upgrade my analytical  
39 skills, or to keep them fresh.

40 Q One of them is Dr. Randall Peterman?

41 A That's correct.

42 Q Okay. And you're currently the Program Head for  
43 Sockeye and Pink Analytical at Fraser River Stock  
44 Assessment; is that right?

45 A Yes, that's correct.

46 Q Okay. And you've been in that position since  
47 2008?

January 26, 2011

2  
Sue Grant  
In chief by Ms. Baker

1 A Yes.

2 Q And prior to that you were the Acting Program Head  
3 for Sockeye, Pink, Chum, and Creel at Fraser Stock  
4 Assessment.

5 A Yes.

6 Q And you were there in that position for about four  
7 years?

8 A Yes.

9 MS. BAKER: I'd like to have the c.v. marked as the  
10 next exhibit, please.

11 THE REGISTRAR: Exhibit number 350.

12

13 EXHIBIT 350: *Curriculum vitae* of Sue Grant

14

15 MS. BAKER:

16 Q Now, we've asked you to come here today to talk  
17 about pre-season forecasting. As the Program Head  
18 for Sockeye and Pink Analytical Programs, you are  
19 in charge of generating the run size forecasts for  
20 Fraser River sockeye salmon; is that right?

21 A That's correct.

22 Q And for what stocks are run size forecasts  
23 developed?

24 A There's a total of 19 forecasted stocks, and these  
25 forecasted stocks are rolled up into a total of  
26 four run-timing groups, based on when they enter  
27 the Fraser Watershed. So the first run-timing  
28 group to enter the Fraser Watershed is the Early  
29 Stuart run, and that includes the Early Stuart  
30 stock. The second run-timing group to enter the  
31 Fraser Watershed is the Early Summer run, and  
32 that's comprised of eight stocks. That includes  
33 Bowron -- should I -- would you like me --

34 Q No, eight is fine.

35 A That detail is not required.

36 Q Yes.

37 A So there's eight stocks with the Early Summer run.  
38 There's four stocks associated with the Summer  
39 run-timing group, and six stocks associated with  
40 the Late run-timing stock -- group. And in  
41 addition to the 19 forecasted stocks, there's a  
42 number of miscellaneous stocks -- a number of  
43 miscellaneous populations that are also  
44 forecasted.

45 Q Okay. And we have heard about CUs in the Fraser  
46 sockeye system, these 19 stocks, are they related  
47 to the CUs that we've heard about in the -- in the



3  
Sue Grant  
In chief by Ms. Baker

1 Fraser system?  
2 A There's overlap between the conservation units  
3 that have been identified. So in some cases  
4 there's a direct relationship between the  
5 forecasted stocks and the conservation units. And  
6 in other cases one stock might be comprised of  
7 multiple conservation units and in other cases a  
8 stock -- there might be multiple stocks that are  
9 comprised of one conservation unit, so there's a  
10 little bit of -- there's a little difference  
11 between conservation units and stocks.  
12 Q Okay. And why do you use these 19 stocks, then,  
13 when you're doing your modelling?  
14 A The 19 stocks encompass the bulk of Fraser sockeye  
15 abundance within the Fraser watershed, and  
16 including the miscellaneous stocks. So the 19  
17 forecasted stocks comprise 95 to 98 percent of the  
18 total abundance in the Fraser watershed. And the  
19 miscellaneous stocks comprises a significantly  
20 smaller component of the total abundance. But the  
21 forecasted stocks represent the bulk of the  
22 abundance of Fraser sockeye in the watershed.  
23 Q Okay. Is there data available for those 19 stocks  
24 that allow you to use them in your modelling?  
25 A Yes. The 19 forecasted stocks have both stock and  
26 recruitment data associated with them. And what I  
27 mean by stock and recruitment is, stock is -- what  
28 we use is effective female spawner abundance,  
29 which is female spawner abundance and their  
30 spawner success, so how successful they were in  
31 spawning in terms of their egg contribution. And  
32 in addition to stock, the recruitment component of  
33 the data, the dataset we use, is catch plus  
34 escapement. So that's the core data we use for  
35 the 19 forecasted stocks.  
36 Q And you've mentioned that you do forecasts for the  
37 miscellaneous stocks where there's no recruitment  
38 data; is that fair?  
39 A That's correct.  
40 Q Okay. You just use a different method?  
41 A The miscellaneous stocks have only escapement data  
42 associated with them. So instead of paired stock  
43 recruitment data for the 19 forecasted stocks, the  
44 miscellaneous stocks only have escapement data  
45 associated with that. And what I mean by that is  
46 effective female spawner abundance data is what we  
47 specifically use. So there isn't a paired

January 26, 2011

4  
Sue Grant  
In chief by Ms. Baker

1 recruitment time series associated with that small  
2 number of miscellaneous stocks.  
3 Q Why do you not have the recruitment data for the  
4 small stocks?  
5 A These are very small stocks for the most part. So  
6 for example, the late run miscellaneous group is  
7 called the miscellaneous non-Shuswap group, and  
8 it's comprised of small populations within the  
9 Fraser Watershed that -- these populations rear in  
10 Harrison Lake. And they're very small populations  
11 that would be at this -- because they're so small,  
12 it would be really hard to pick them up in  
13 fisheries that are breaking catch composition into  
14 the individual stock components. So for the  
15 miscellaneous runs, they are miscellaneous stocks,  
16 not associated with a broader stock that cannot be  
17 teased apart within the catch composition, so we  
18 can't establish a recruitment time series for  
19 them.  
20 Q And when you're doing the pre-season forecast,  
21 you're working with a computer model, inputting  
22 data into that model. That's the basic concept;  
23 is that right?  
24 A Yes. There would be a variety of models that we  
25 would use.  
26 Q Okay. But it's a -- it's a mathematical kind of  
27 model that you put the data into?  
28 A That's correct.  
29 Q Okay. And what data is used, what data is entered  
30 into those models or variety of models to allow  
31 you to do the work?  
32 A There --  
33 Q Sorry, and then if there's different types of  
34 models, you could maybe just establish the broad  
35 categories of types of models.  
36 A Okay. There are two categories of models that we  
37 use in the forecasting process. The first type of  
38 model is called a biological model, and these  
39 models incorporate what I'd mentioned earlier, the  
40 stock and recruitment time series. And the  
41 biological models establish a relationship between  
42 the spawner abundance and the recruits, the  
43 resultant recruits. And so the core data that  
44 would go into these models, for example, the  
45 classic biological model would be the Ricker  
46 model, which is one that's probably come up in  
47 previous testimonies. And did you --

January 26, 2011

5  
Sue Grant  
In chief by Ms. Baker

1 Q Yes, what was --

2 A For clarification, would you want a lot of detail  
3 on...

4 Q Just the types of data that would be --

5 A Okay.

6 Q -- used in that kind of biological model.

7 A Okay. So for some of these biological models that  
8 we use, such as the Ricker model is one of the  
9 models, would be -- the core data is, as I  
10 mentioned earlier, paired stock and recruitment  
11 data. So that's escapement data, as well as catch  
12 plus escapement data, so it's paired, and that's  
13 fundamental to the models.

14 Escapement is being used as a predictor  
15 variable in the models, but we have a number of  
16 stocks where we also have juvenile data, and for  
17 these stocks there are some cases where we may use  
18 juvenile data as predictor variables as opposed to  
19 escapement data, because it eliminates some of the  
20 uncertainty in survival in the freshwater  
21 environment. So it gets us one step closer to the  
22 returning fish. So in some cases where we have  
23 juvenile data, we'll use that.

24 We also use jack data for one model in  
25 particular, that's Cultus. Jack data is generally  
26 not available at the time of forecasting because  
27 it's from the -- the year that the -- the year  
28 just before the forecast is being generated, but  
29 in some cases we do have jack data. And then the  
30 other piece of data that we use for the 19  
31 forecasted -- for the 19 forecasted stocks in  
32 terms of biological models is also environmental  
33 variables. So specifically for biological models  
34 we can also incorporate environmental variables  
35 into the models. And these include things like  
36 sea surface temperature, Fraser discharge, et  
37 cetera.

38 In terms of the naïve models --

39 Q Sorry, so that describes the biological models.  
40 And then is there another type of model that you  
41 use?

42 A Yes. The other broad type of model that we use  
43 has -- historically we've called them naïve  
44 models, because these models don't establish any  
45 relationship between the spawning abundance and  
46 the resultant recruits, but instead are  
47 forecasting abundance based on summarizing the

1 time series data that we have.

2 So for example, for -- one example of a naïve  
3 model would be a time series average model, what  
4 we call a TSA, in short form. You'll see them on  
5 the forecast tables. The TSA model or time series  
6 average model would just average the returns over  
7 the historical time series, and use that average  
8 to predict what we would see next year. So next  
9 year's return would simply be the average of the  
10 historical time series. So that's one example of  
11 a naïve model.

12 In the 2010 forecast, we've added a couple of  
13 models that include brood year escapement  
14 multiplied by recent productivity. So they're  
15 also using recruits per spawner, like average  
16 recruits per spawner productivity in recent years  
17 multiplied by the brood year escapement. And  
18 those models are -- they are now using a predictor  
19 variable brood year escapement, so that's why  
20 we've changed the name from naïve models to non-  
21 parametric models, because we're not doing any  
22 parameter estimation like we are in the biological  
23 models, but we are using a predictor variable. So  
24 that's the core, for the 19 forecasted stocks,  
25 those would be the core models and the data  
26 inputs.

27 Q All right. And is the data that's available to  
28 you sufficient for running these models to predict  
29 the run size forecast, or to create the run size  
30 forecasts?

31 A The stock recruitment data that we use for Fraser  
32 sockeye is globally accepted as being amongst the  
33 best stock recruitment time series for salmonids.  
34 So that's throughout the world. So we're starting  
35 off with a very good stock recruitment time  
36 series. So from that perspective, we have a good  
37 time series for stock recruitment data.

38 The key pieces of information that we  
39 probably require more information, more research  
40 on, is the survival part of the whole stock  
41 recruitment relationship, understanding what are  
42 the mechanisms driving survival for Fraser  
43 sockeye. And this would include research in the  
44 freshwater environment and the marine environment.  
45 A lot of this is ongoing and it is part of both  
46 within the Department of Fisheries and Oceans, as  
47 well as external groups are, and universities are

7  
Sue Grant  
In chief by Ms. Baker

1 continually conducting research and updating our  
2 knowledge on survival information for Fraser  
3 sockeye, and salmonids in general within the  
4 Fraser watershed. However, that still is a  
5 missing element to -- improvements to the  
6 forecasting process is getting even more  
7 information and understanding what the survival  
8 mechanisms are for Fraser sockeye.

9 Q You indicated that in the biological models you  
10 have some juvenile data for some stocks that helps  
11 you. Do you have juvenile data on all stocks?

12 A No. We have -- I'll start with just the --  
13 starting with just the core stock that has the  
14 longest time series of smolt data. Smolt data is,  
15 in terms of juvenile data, it's the furthest along  
16 within the freshwater lifecycle. So you can have  
17 fry data that occurs within the freshwater  
18 environment. While they're still within the lake  
19 we can have fry data from hydroacoustic surveys,  
20 fry data from different trap projects. So there's  
21 several populations where we have all this fry  
22 information. But the -- and we can use that  
23 within the forecasting process, this -- this early  
24 juvenile life history data.

25 But the even better juvenile data is smolt  
26 data, because it's further along in the life  
27 history in the freshwater environment. So if we  
28 forecast with smolt data, we are eliminating all  
29 the uncertainty and survival in the freshwater  
30 environment. So we don't have to predict any more  
31 what kind of mortality is going on in the  
32 freshwater environment, as we do for stocks that  
33 don't have smolt data.

34 So if we're just forecasting with adult  
35 spawners that return to the spawning ground, we're  
36 forecasting the future based on all of the  
37 uncertainty we have with freshwater survival, as  
38 well as marine. When we have smolt data, we're  
39 eliminating that uncertainty. We know -- we have  
40 a better starting point because we're further  
41 ahead in the life history. And we can -- now we  
42 just have uncertainty from the moment they leave  
43 the system that they're being measured in, the  
44 downstream migration, and then the ocean life  
45 history phase, that survival uncertainty.

46 So the one stock where we have a really long  
47 time series for smolt data is Chilko. And Chilko

1 is an indicator system for Fraser sockeye. It's  
2 the one stock where we have a really long time  
3 series of smolt data, and also adult return data.  
4 So what we can do with that stock is partition  
5 total survival into freshwater -- freshwater  
6 survival and marine. So when we have annual  
7 events or we're looking at what's going on overall  
8 in Fraser sockeye survival, we look to Chilko to  
9 give us an indication of where is this -- say, for  
10 example, 2009, that was a really -- an event where  
11 survival was extremely poor, you can look to  
12 Chilko to give you some indication of where that  
13 mortality occurred to start narrowing down the  
14 questions that you're asking on what occurred in  
15 2009. So Chilko is our indicator stock that we go  
16 to because we can -- we can look at what  
17 freshwater survival was like, and marine survival,  
18 and see where that occurred.

19 Chilko is our only indicator stock for Fraser  
20 sockeye with that long-time series of smolt data.  
21 We also have Cultus where we have smolt data. But  
22 Cultus is a unique stock in its own rights, and  
23 the time series is very -- it's not a complete  
24 time series through time. There's a lot of  
25 missing years, and it is not an indicator stock,  
26 per se. So Chilko is our only indicator stock.

27 And back to your question, Wendy, is that in  
28 a perfect world it would be better to have more  
29 indicator stock data to give us a better handle on  
30 more than one stock in regards to being able to  
31 figure out if there's a survival breakdown, where  
32 is that occurring, in the freshwater or the marine  
33 environment. And Chilko is one stock out of 19  
34 telling us part of the story, but you'd probably  
35 want a few more indicator stocks to give you an  
36 idea of is this globally across all sites. So  
37 from an indicator stock perspective, in a world of  
38 unlimited resources it would be beneficial to have  
39 more indicators stocks.

40 And but we do have other juvenile data, like  
41 as I mentioned Friday, that is useful for  
42 providing us with some indication of whether  
43 freshwater survival trends or tracking in other  
44 stocks, it's just not the smolt to the end of the  
45 freshwater life history phase.

46 Q Thank you. You talked a little bit about  
47 uncertainties in that answer, so I wanted to move

1 to the next question which is on that topic. What  
2 are some of -- I take it, first of all, that there  
3 are uncertainties in run size forecasting. What  
4 are some of those uncertainties. Can you describe  
5 them in general terms?

6 A Yes. With any model in the world of modelling,  
7 whether you're forecasting Fraser sockeye or  
8 you're forecasting the weather, or global climate  
9 change, there's always going to be uncertainty in  
10 regards to your observations that you're using to  
11 seed the model. So for example, for Fraser  
12 sockeye we use escapement data, as well as  
13 recruitment data as our core data. And there's  
14 always some uncertainty around those escapement  
15 estimates. They're not -- you never have a  
16 perfectly accurate estimate, except in a few cases  
17 where we have fences and you're -- you're  
18 assessing the system with 100 percent accuracy,  
19 you're counting every single fish that goes  
20 through, so you know that it's 100 percent  
21 precise. It's a -- it's perfect system.

22 But a lot of the escapement enumeration  
23 programs don't employ fences because they can't.  
24 It's usually a barrier to placing a fence on a lot  
25 of the systems because of water levels, flows, et  
26 cetera. So they use a range of methods to  
27 enumerate on the spawning grounds, from mark-  
28 recapture studies or visual surveys from  
29 helicopter flights, et cetera, and there's going  
30 to be uncertainty in the core data we're using  
31 from that perspective.

32 The same with the -- that's the escapement  
33 data, but the same with the recruitment data,  
34 which is catch plus escapement. You'll have the  
35 escapement uncertainty, as well as uncertainty in  
36 the catch estimates, because catch is assigned to  
37 the different stocks through assessing catch and  
38 doing some analysis on the animals being caught in  
39 the fisheries, and assigning them based on a  
40 sample to the different stocks. So there can be  
41 uncertainty in that, as well. So that's just  
42 classic observation error in the models.

43 The other kind of error in the models is the  
44 -- or uncertainty in the models is associated with  
45 uncertainty and variability in inter-annual  
46 survival. So we use different models to explain  
47 recruitment. So brood year escapement,

1 environmental variables, but there's always going  
2 to be a certain component of that inter-annual  
3 variation and survival that we cannot explain.  
4 And that is also a component of uncertainty in the  
5 models, the variation in recruitment over time.

6 And the model forms themselves are part of  
7 the uncertainty, given, you know, you're exploring  
8 a lot of different forms of models that are  
9 capturing stock recruitment dynamics in different  
10 ways, so there's uncertainty in the model form  
11 that you're using, as well. So I would say those  
12 would be the key uncertainty elements to the  
13 forecasts.

14 Q What about uncertainty in future survival. Is  
15 that an uncertainty that comes into play as well,  
16 or is that captured in something you've already  
17 described?

18 A Yes. It was captured in -- that we explain a lot  
19 of the variability in the stock recruitment, or we  
20 can explain a portion of the variability in what  
21 we see every year in terms of recruitment from a  
22 certain spawner abundance, but there's a certain  
23 component of that's unexplained. So there's  
24 uncertainty in future survivals for Fraser  
25 sockeye.

26 Q Okay. So that could be uncertainties about what  
27 happens in the marine environment, uncertainties  
28 about what happened in the freshwater environment,  
29 that kind of thing?

30 A That's right.

31 Q Okay. All right, thank you. So that's very  
32 helpful background. I want to look at the models  
33 that are being used, and I know that there's been  
34 a change made to the model in 2010, so I think to  
35 just put that in context we'll look first at the  
36 2009 -- or what, how forecasting was done prior to  
37 2010 and then move into the 2010 changes. So the  
38 first place I want to go is the paper prepared by  
39 Al Cass, Michael Folkes and others, which is a  
40 Science Advisory Secretariat document prepared in  
41 2006, and that's in Tab 2 of your binder in front  
42 of you, and it's CAN002926, and it's called "Pre-  
43 season run size forecasts for Fraser River sockeye  
44 for 2006". Have you got that?

45 A Yes.

46 Q Okay. Are you familiar with that paper?

47 A Yes.



11  
Sue Grant  
In chief by Ms. Baker

1 Q Okay. Now, as I understand it, this document  
2 basically outlines the models that were used to  
3 develop the forecast for 2006 and up until and  
4 probably including 2010 to some extent; is that  
5 right?

6 A That's correct.

7 Q Okay. If you turn to page 2 and 3 of that  
8 document, page 3 and 4 describe these two models,  
9 broad-based model descriptors, naïve models and  
10 biological models that you reviewed earlier.

11 A Mm-hmm.

12 Q Okay. And section 3, which is on page 2,  
13 describes the methodology and it says that there's  
14 these three steps, first you:

- 15
- 16 1) choose the candidate forecast models  
17 depending on data availability;
  - 18
  - 19 2) perform a retrospective analysis for each  
20 stock...
  - 21
  - 22 3) evaluate model performance by comparing  
23 the retrospective forecast with the abundance  
24 [observed]...
  - 25

26 And then:

- 27
- 28 4) identify the "best" forecast model...and  
29 present forecasts as posterior distributions  
30 of returns...
  - 31

32 So I just want to go through those methods. I'd  
33 just first say that's still the method that was  
34 used up until 2010?

35 A That's correct.

36 Q And I'll come to 2010 later, but I understand that  
37 this was still part of what was done in 2010, in  
38 any event?

39 A Yes, that's correct.

40 Q Okay. But I'll come to 2010 in a minute. Okay.  
41 So if you can just explain what does that mean,  
42 the first step in the method, to:

43

44 Choose the candidate forecast models  
45 depending on data availability.

46

47 What is involved in that step?

1 A We have a suite of models that we have in our  
2 toolkit of models that we use for forecasting. so  
3 it's a range of biological models and naïve  
4 models. And particularly for the biological  
5 models we can, as we talked about earlier --  
6 typically we use stock recruitment data for the 19  
7 forecasted stocks, and that's escapement and  
8 recruitment data. For some stocks we have  
9 juvenile data, so what this first point is  
10 pointing out, that we would also explore the adult  
11 escapement data with the recruitment data for the  
12 biological models. But if they have -- if there  
13 is juvenile data associated with it, we'd layer on  
14 the juvenile -- using the juvenile data as  
15 predictor variables. So, and that can't be done  
16 for all stocks because not all stocks have  
17 juvenile data. So there are some stocks that we  
18 can incorporate juvenile data into.

19 The same with jack data. Jack data generally  
20 doesn't come in, we don't have it available in  
21 time for the forecasting process. Cultus is one  
22 stock where we do have jack data available because  
23 it's a fence and we get that data in-season, so we  
24 use jack data for Cultus specifically.

25 And environmental variables are -- can be  
26 used for the forecasted stocks -- the 19  
27 forecasted stocks when we're using biological  
28 models can be included as well.

29 So that's generally what number 1 is meaning,  
30 that we've got a toolkit of models. Depending on  
31 whether we have juvenile data or not, not all  
32 stocks can be modelled using juvenile data if it  
33 doesn't exist. So we just select the suite of  
34 models for each stock that could be explored,  
35 limited by the data that's available.

36 Q So for any given stock you could run a variety of  
37 models on that stock, if the data is available?

38 A Yes, and we would.

39 Q Okay. So the next point is to:

40  
41 Perform a retrospective analysis for each  
42 stock...

43  
44 What is involved in that process?

45 A For every stock we have this toolkit of models  
46 that we -- can be used for that particular stock.  
47 And then the next step that we do to select the

1 top model is to conduct retrospective analysis,  
2 and that is essentially taking the first half. So  
3 we have a 50-year stock recruitment time series  
4 for stocks, generally speaking, they're not all  
5 the same length, but say generally 50 years. We  
6 break that time series in half and use the first  
7 half of the time series to seed the models,  
8 whether they're biological models or naïve models,  
9 and then for the second half of the time series we  
10 start to create a time series of forecasts. So we  
11 sequentially for the second half of the time  
12 series generate a forecast, and then update that  
13 data point into the first half of the time series,  
14 and then for the next year, generate a forecast.  
15 And we keep going through, updating the data  
16 behind and generating forecasts. So we have --  
17 we'll end up with a whole time series for the  
18 second half of the time series of forecasts. And  
19 we can compare those forecasts to the true  
20 returns.

21 The models that have the smallest difference  
22 between the forecasts and the true returns, are --  
23 perform better in retrospective analysis. So we  
24 look at the performance of the models and compare  
25 how each one is doing through time compared to the  
26 true return time series. And we create a ranking  
27 for all the candidate models for a particular  
28 stock, and then we're ranking them, based on this  
29 retrospective analysis, from 1 to total number of  
30 models that exists.

31 So that's retrospective analysis for ranking.  
32 And should I move on to...

33 Q Yes. I'm going to go through each of those  
34 methods or processes. so if you want to just  
35 carry on, that's fine.

36 A Yes. It just flows in.

37 Q Yes.

38 A Yes. So we have the ranking for each stock of the  
39 suite of candidate models that we've used. And  
40 from -- in the 2006 paper, what was done was the  
41 top-ranked model in that, ranked from the  
42 retrospective analysis, is actually used for the  
43 forecasting, for that annual forecast.

44 Q So that's the step 4, the "best" forecast model is  
45 that top-ranked model?

46 A That top-ranked model.

47 Q Okay.

1 A And that was used for 2006.

2 Q In doing that work has -- have you found, or has  
3 the Department found that one model performs  
4 better than others across all stocks? Like, is  
5 there one ideal model that works for all the  
6 stocks better than anything else?

7 A There is not one model that performs optimally  
8 across all stocks, and even across one stock  
9 through time. So generally if you look at a  
10 forecast table, there will be a range of different  
11 models being used to generate forecasts for  
12 different stocks. And not one model comes out as  
13 being superior to any of the other models. And  
14 this is similar to results done by Dr. Randall  
15 Peterman's group in a paper by Haeseker in 2008.  
16 He's using the same methodology as the Department  
17 of Fisheries and Oceans is using to rank models  
18 and compare performance. So they're using the  
19 retrospective analysis approach we use, as well.  
20 And in that paper they, similarly to us, have not  
21 found a single model that outperforms all the  
22 other models. There's not one that rises to the  
23 surface as the ultimate forecast model.

24 And in some cases, interestingly, both from  
25 our perspective and from Dr. Peterman's  
26 perspective, is that naïve models can sometimes  
27 perform better than biological models. So there  
28 are cases where naïve models that may just be a  
29 time series average, performs better over time  
30 than a biological model that may include the brood  
31 year escapement in -- and the relationship between  
32 brood year escapement and recruits in a biological  
33 model. The naïve models actually might perform  
34 better for certain stocks. So you'll see in the  
35 forecast tables certain naïve models for certain  
36 stocks have performed better.

37 Q Okay.

38 A So -- yes.

39 Q Sorry, I was just going to say if we turn to page  
40 11 of the document that you have in front of you,  
41 which is actually CAN page number 15, this is just  
42 an example of all the different stocks that you  
43 have -- you talked about earlier, with the  
44 different run timing groups, and then the forecast  
45 models that were determined to be the best for  
46 each of those stocks under the column "Forecast  
47 model"; is that correct?

1 A That's correct. This is for the 2006 paper.

2 Q Right. And you can just see there's a wide range  
3 of, as you say, the Ricker model, which is a  
4 biological model, on Bowron compared to the TSA,  
5 which is a non-parametric model for Fennell.

6 A Right.

7 Q Okay. Have you looked at how environmental  
8 variables improve model performance? I know you  
9 have said that that does go into the biological  
10 model work. Does it -- have you found that it  
11 improves model performance?

12 A We've looked at a variety of environmental  
13 variables that include sea surface temperature and  
14 Fraser discharge, ocean indices, such as the  
15 Pacific Decadal Oscillation, that is really just  
16 tracking sea surface temperature anomalies in the  
17 broader North Pacific. So we've looked at a bunch  
18 of different variables. And although for some  
19 stocks, in some retrospective analysis years, like  
20 in some years when we're conducting retrospective  
21 analysis, environmental variables can help improve  
22 the forecast performance, it's not a significant  
23 improvement in terms of the performance or in  
24 terms of the forecast you get.

25 So generally when you look at the forecasts  
26 with just a Ricker model, just a biological model  
27 with no environmental variable, and then if you  
28 look at a Ricker with a sea surface temperature  
29 covariate that we've explored, even though the sea  
30 surface temperature covariate may slightly improve  
31 forecast performance, you won't see a huge  
32 difference between the forecast. It's only  
33 slightly tweaking the forecast, but it isn't  
34 having a large impact on the overall forecast.  
35 And there isn't one environmental variable again  
36 that performs best for all stocks.

37 So basically from a quantitative perspective,  
38 the environmental variables haven't significantly  
39 improved the forecast for all the variables we've  
40 looked at. And likely that's because single  
41 environmental variables, such as sea surface  
42 temperature or even the broad ocean indices are  
43 oversimplifying the complexity of the survival  
44 mechanisms, in both the freshwater and the marine  
45 environment, this, working together to influence  
46 total survival for Fraser sockeye. So using a  
47 single environmental variable, quantitatively

16  
Sue Grant  
In chief by Ms. Baker

1           hasn't been -- hasn't given us any answers, in  
2           terms of making big differences to the forecast  
3           approach.

4   MS. BAKER: Thank you. The Al Cass paper, "Pre-season  
5           run size forecasts for Fraser River sockeye for  
6           2006" should be marked as the next exhibit,  
7           please.

8   THE REGISTRAR: Exhibit number 351.

9  
10           EXHIBIT 351: CSAS Research Document 2006/060  
11           "Pre-season run size forecasts for Fraser  
12           River sockeye for 2006", A. Cass, et al  
13

14   MS. BAKER:

15   Q   Now, as I think we've already said, the method  
16           that we've just reviewed that's described in the  
17           2006 paper was used in 2007, 2008 and 2009; is  
18           that fair?

19   A   That's correct.

20   Q   And once you -- I take it you didn't -- there  
21           wasn't a CSAS document prepared in each of those  
22           years because there weren't significant changes  
23           made to the model, you were simply applying the  
24           model that was described in this paper?

25   A   There is, just to correct, or to clarify that,  
26           there is a CSAS paper - and CSAS is the Canadian  
27           Science Advisory Secretariat - report is produced  
28           annually and it's a SAR.

29   Q   Sorry, that's what I was going to get to. There  
30           wasn't one of these research documents prepared in  
31           those 2007/'08/'09?

32   A   That's correct.

33   Q   But there was a Science Advisory Report prepared  
34           for each of those years, which produces the  
35           results of your model runs and your forecast for  
36           use in the -- in the Department?

37   A   Yes.

38   Q   Okay. So those have already been marked as  
39           exhibits in the hearing. The 2009 one is Exhibit  
40           340.

41           Okay. Well, it didn't come up in colour, so  
42           you're going to -- I hope we don't lose too much  
43           data as a result of that. But this is the  
44           document that was prepared in the 2009 year by you  
45           and your group?

46   A   I should clarify. It is prepared by myself and my  
47           colleagues and my collaborators, but it is also

January 26, 2011

1 the synthesis of -- the synthesis of the Salmon  
2 Subcommittee for the CSAP process, which is the  
3 Canadian Science Advice-Pacific review process  
4 that DF has to review papers annually. So the  
5 actual author of these Science Advisory Reports is  
6 not myself, but it is the Department of Fisheries  
7 and Oceans, and it includes all the consensus from  
8 these meetings based on what we present and it's a  
9 consensus from the committee on -- that is placed  
10 into this document. So the actual author is  
11 Fisheries and Oceans.

12 Q Okay. And the committee that you're referring to  
13 is the Salmon Subcommittee of the Centre for  
14 Science Advice-Pacific?

15 A That's correct.

16 Q Okay. And that document is the document that's  
17 intended to be used for forecast information for  
18 the 2009 year.

19 A That's correct.

20 Q And who uses this document?

21 A This would be used both -- well, by a range of  
22 users. It is placed on the Fisheries and Oceans,  
23 or on the CSAP -- CSAS, Canadian Science Advice  
24 Secretariat website. So once it's published it's  
25 placed on the website so it's available for public  
26 consumption. So anyone can use it for any  
27 purpose. In terms of formal processes, the  
28 information in the document is used formally by  
29 the Fraser Panel process in the fisheries planning  
30 process. It's used internally -- yeah, I guess it  
31 can just be used by anyone.

32 Q I'd like to move now to the changes that were made  
33 to the model in 2010. First of all, in 2010 there  
34 were changes made that were extensive enough that  
35 another research document was prepared; is that  
36 right?

37 A Yes.

38 Q Okay. And that document should be at Tab 4 of  
39 your binder, and the CAN reference I think is  
40 CAN185610 -- I hope that's right. Okay.

41 THE COMMISSIONER: So did we mark the last exhibit --  
42 MS. BAKER: Oh, the last exhibit was already marked.  
43 THE COMMISSIONER: Yes, 240?  
44 MS. BAKER: 340.  
45 THE COMMISSIONER: 340, yes.  
46 MS. BAKER:  
47 Q Okay. So this document was authored by you, along

1 with Catherine Michielsens from the Salmon  
2 Commission, E.J. Porszt, I'm not sure --  
3 A Yes.  
4 Q -- where this person's from, and Mr. Al Cass, or  
5 Dr. Al Cass.  
6 A Yes. It's -- the authors are myself, Dr.  
7 Catherine Michielsens from the Pacific Salmon  
8 Commission, Erin Porszt from DFO and Al Cass from  
9 DFO.  
10 Q Okay. And why was this document required in 2010?  
11 Why were changes made and why did it go into this  
12 form of document?  
13 A We had presented a Science Advisory Report in --  
14 through the normal course of action in November,  
15 as we typically do present them, and in -- for the  
16 2010 one, we presented at the CSAP process and the  
17 Salmon Subcommittee had determined or assessed or  
18 concluded that there was -- there had been enough  
19 -- there were sufficient changes to the 2010  
20 document that we were presenting as a Science  
21 Advisory Report, that it required a research  
22 document format, and the changes --  
23 Q And what's the significance of it going to a  
24 research document format?  
25 A A research document is much more intense in terms  
26 of the analysis that goes into the report. It is,  
27 as you can see, this actually has authors that  
28 include myself and Dr. Catherine Michielsens and  
29 Porszt and Cass, and so this is a research  
30 document, more detailed. It also is now going  
31 through a more formal review process. In addition  
32 to the Salmon Subcommittee, there are two --  
33 generally two formal reviewers placed on it. It's  
34 similar to in some ways a Masters defence or a  
35 Ph.D. defence, or a publication in the primary  
36 literature, where you're actually getting formal  
37 reviews for this. So the document gets sent to  
38 formal reviewers. In the case of this document,  
39 we had Dr. Randall Peterman, as well as -- so from  
40 Simon Fraser University, as well as Dr. Chris  
41 Wood, as formal reviewers.  
42 So in the case of a research document, it  
43 goes through that formal review process. Those  
44 reviewers provide comment, as well, on the day of  
45 the CSAP meeting. For example, Dr. Randall  
46 Peterman attended the CSAP proceedings, and  
47 provided comments throughout that, as well, in



1 addition to his formal written comments. And as  
2 well there's a Salmon Subcommittee present,  
3 typical of the Science Advisory Reports, as well,  
4 where all the people present, including internal  
5 and external to the Department experts. Technical  
6 experts on forecasting, as well as Fraser sockeye  
7 attend and it's essentially a defence of the paper  
8 by the authors to the Salmon Subcommittee that  
9 also includes the two formal reviewers, and it  
10 includes internal and external. So it's -- it's a  
11 step up from the Science Advisory Report in terms  
12 of the formality of the review process. And as I  
13 said, it's very similar to other review processes  
14 that involve Masters, Ph.D., or primary literature  
15 publication.

16 Q And was there something that -- like what happened  
17 to generate the need for this. Like, what were  
18 the changes -- why were the changes made?

19 A For Fraser sockeye we'd seen productivity declines  
20 for these stocks for some time. We'd been  
21 reporting on them even in the -- these forecast  
22 documents starting in the 2006 paper, perhaps  
23 earlier, I just haven't scrutinized them to date,  
24 but they -- for this meeting. So we'd been  
25 observing these declines in productivity. And in  
26 2009 we also saw an extremely low productivity  
27 event, the lowest productivity we'd seen on  
28 record. But we'd still seen these persistent  
29 declines in productivity.

30 So for the 2010 forecast we wanted to present  
31 alternative hypotheses for future survival for  
32 Fraser sockeye. Typically we'd been using the  
33 long-term average, so the full time series to  
34 forecast returns, so the full stock recruit time  
35 series. And in the 2010 forecast we wanted to  
36 present alternative assumptions about future --  
37 about the survival of Fraser sockeye in this paper  
38 in light of declines in productivity.

39 Q And just to -- just to flag, if you can turn to  
40 page 29 of the document. I'm not sure what the  
41 CAN reference number is, but 29 on the document  
42 itself -- 29, sorry. Okay. This starts, there's  
43 a series of pages where the declines are  
44 graphically presented, and I'm not going to spend  
45 any time on this, I just wanted to flag that's  
46 what these graphs are showing, the returns over  
47 time and the decline on some, but not -- not all.

1 A That's correct. There is -- most of the  
2 forecasted, the 19 core forecasted stocks have  
3 been exhibiting systematic declines in  
4 productivity. There are a few stocks such as  
5 Weaver, Late Shuswap, that have not been  
6 exhibiting systematic declines in productivity, as  
7 well as Harrison, in contrast, that has been  
8 exhibiting systematic increases in productivity.

9 Q All right. So you were faced in 2009 with the  
10 lowest returns ever and that caused you to go and  
11 have a look at how you were putting assumptions  
12 into the model, or whether there was other  
13 assumptions that could be made to improve your --  
14 your forecasting outputs; is that fair?

15 A It was -- the declines that we'd seen  
16 systematically over time and 2009, as well, that  
17 led to the -- exploring the forecast methodology  
18 in a different way.

19 Q Okay. And what was the change that was made in  
20 the 2010, what was the new assumptions that were  
21 put in?

22 A For the 2010 document we included three different  
23 alternative assumptions about survival of Fraser  
24 sockeye, and that, when I say survival, includes  
25 from the egg stage all the way through to the  
26 adult return stage. So we included three  
27 different scenarios that reflect different  
28 assumptions about the survival experienced by fish  
29 returning in 2010, starting from when they were in  
30 the gravel, all the way through to their adult  
31 return.

32 The first productivity scenario that we  
33 included was long-term average productivity. And  
34 that methodology to produce that forecast table  
35 was identical to past methodology that has been  
36 used. So it's using the full time series in the  
37 context of forecasting to generate the forecasts.  
38 So there's nothing new with the recent -- the  
39 Long-Term Average first case productivity table.

40 The differences in the forecasting  
41 methodology occurred in the second and third  
42 cases, which are the Recent Productivity forecast,  
43 which assumes that recent productivity is what --  
44 what we're using. It's the assumption that recent  
45 productivity is what's going to persist through to  
46 2010, is the second assumption. And the third  
47 assumption or the third forecast table is if 2009,

1 which was the lowest productivity on record for  
2 most of the Fraser sockeye stocks, if 2009 repeats  
3 itself, it is the forecast that we would expect --  
4 the return that we would expect to see in the  
5 third forecast is if 2009 productivity repeated  
6 itself through to 2010.

7 The specific changes for the second forecast  
8 that I just mentioned, the Recent Productivity,  
9 I'll go through that because -- I'll go through  
10 the last two cases where the forecast specific  
11 methodologies changed.

12 In the second case, the Recent Productivity  
13 forecast, the major changes in that were the  
14 inclusion of three new models. What we've called  
15 the RS4 year, which is recruits per spawner in the  
16 last four years, the RS8 year, which is the  
17 average recruits per spawner in the last eight  
18 years, and the Kalman filter Ricker model. And  
19 these three models are using -- they're using as  
20 predictor variables the brood year escapement,  
21 which -- what we use for Fraser sockeye is  
22 effective female spawner abundance, which is  
23 females multiplied by their spawner success, how  
24 successfully were they -- how successfully were  
25 they as spawners in terms of their percent spawn  
26 in terms of their eggs present in their carcasses.  
27 So that's what we're using as a predictor variable  
28 for the three new models.

29 The RS4 year is simply taking that brood year  
30 escapement and multiplying it by productivity in  
31 the four last years, or the last eight years. so  
32 RS4 year, RS8 year. The Kalman filter Ricker  
33 model is using the Ricker model form, but it's --  
34 classically models use the full time series, and  
35 in a Ricker model there's a parameter for the  
36 productivity of a stock. And when you're using  
37 the full time series, that model is parameterized  
38 using the full time series. So from the high  
39 productivity period all the way down to the low  
40 productivity period, that's typically what's used,  
41 and if we used a Ricker model in the Case 1 "Long-  
42 Term Average" forecast, it would be using a  
43 productivity that reflects the full time series.

44 What the Kalman filter Ricker model does is  
45 focus that productivity parameter on the more  
46 recent time series, which has been lower in terms  
47 of productivity. So typically if stocks had been

1 declining, the Kalman filter Ricker model would  
2 produce a lower forecast because it's picking up  
3 that lower productivity in a biological model  
4 context, and that model is based on work by  
5 Catherine Michielsens as well as collaboration  
6 with Randall Peterman, Dr. Randall Peterman from  
7 SFU who has published work on the Kalman filter  
8 model and describes the importance of using such  
9 models, given in light of -- when you see shifts  
10 in productivity.

11 So those would be the three new models that  
12 we've used in the second case, which is the Recent  
13 Productivity. They're models that specifically  
14 pick up Recent Productivity.

15 Now we still used all our full suite of  
16 candidate models for each stock. We just added  
17 these three new models, and we've run them through  
18 a retrospective analysis, that I've described  
19 earlier, to compare which models perform better.  
20 The other difference with that second case, which  
21 is the Recent Productivity forecast scenario, is  
22 that we look at the performance of all of these  
23 models over the recent time period, so in the last  
24 eight years. So rather than taking the full  
25 retrospective period, which is the second half of  
26 the time series, we're only using the last eight  
27 years. Because productivity's declined, we want  
28 to see if certain models are performing better,  
29 more in the recent period. And so that would be a  
30 departure from the first case scenario, where  
31 we're using the full retrospective time series to  
32 rank the models.

33 The other difference between the second case  
34 and the case we -- the first case, so the recent  
35 productivity versus the long-term average, is that  
36 five-year-old recruits -- typically when we're  
37 generating forecasts, we generate forecasts for  
38 the four and five-year-old recruits, and then by  
39 assigning age proportions to those recruits, we  
40 add them together to get the total forecast. So  
41 typically for the Long-Term Average Productivity  
42 forecasts, we would just run the two recruitments  
43 through the model and get the recruitment, and  
44 then do those calculations.

45 In the case of the Recent Productivity,  
46 because the five-year-olds in this -- the Fraser  
47 sockeye are four and five-year-old fish, so we're

1 generating forecasts for four and five-year-olds,  
2 and adding them together, because we expect four  
3 and five-year-olds to return. In the case of the  
4 five-year-olds, they would have been from the same  
5 adult spawners. They would have entered the ocean  
6 at the same time as the four-year-olds that  
7 returned in 2009, so in the previous year. And we  
8 know from any of those stocks that previous year  
9 was the lowest survival on record for a number of  
10 the stocks, lowest productivity on record. So for  
11 the five-year-old component, for the Recent  
12 Productivity forecasts we used the preliminary  
13 productivity from the previous year, from 2009,  
14 knowing that these five-year-olds experienced all  
15 the same survival conditions, so likely they will  
16 be equally coming back on similar productivities.

17 We used preliminary productivity from 2009 to  
18 forecast the five-year-old component of the total  
19 forecast. And what that means is essentially  
20 because it's the lowest productivity on record,  
21 it's even lower than the recent four years. If  
22 you're generating a forecast for the five-year-  
23 olds, it will be much lower, given it's the lowest  
24 we've ever seen on the Fraser sockeye record for  
25 most stocks. So the five year -- there was a  
26 difference in that five-year-old component, as  
27 well, for the Recent Productivity forecast.

28 Model selection was the same for Recent  
29 Productivity forecast, where you would rank the  
30 models and select the top models to generate  
31 forecasts.

32 And the final forecast scenario, the third  
33 one, was what if 2009 repeats itself. And so we  
34 say the same productivity we saw in 2009 repeating  
35 itself in 2010, what would we see in terms of  
36 returns. So that was the last scenario where we  
37 took preliminary productivity again from 2009 and  
38 we applied it to both the four-year-olds and the  
39 five-year-olds. So in Case 2 we only used 2009  
40 productivity for the five-year-olds, because we  
41 know they encountered the same survival  
42 conditions, but for the what if productivity in  
43 2009 repeats itself, we just applied the  
44 productivity we saw in 2009 to generate forecasts  
45 for 2010 returns, based on the brood year  
46 escapements for 2010.

47 So it's -- it's the assumption that if 2009

1 repeats itself, this is what we would see and we  
2 presented it in the third forecast table.  
3 Q Thank you. It's complicated --  
4 A Yes.  
5 Q -- so I appreciate you going through it. With  
6 those three different case studies, as you've  
7 described them, you then went through the same  
8 forecasting exercise that you had done in the  
9 years previous, or as you've described as  
10 modified, but you created a forecast for each of  
11 the stocks, for each of those cases; is that  
12 right?  
13 A That's correct.  
14 Q Or run-timing groups, I guess, in some cases.  
15 A Yes. And I should -- there was one thing I wanted  
16 to elaborate on when you were referring to the  
17 2006 methodology. One thing that we started to do  
18 differently is instead of just choosing the top-  
19 ranked model to generate the forecast, we compare  
20 -- because in the ranking process, it's an  
21 important thing to bring up, because you're asking  
22 about changes. And one thing we layered on from  
23 the Cass et al paper, and this is a lot of -- from  
24 advice from other and from different meetings,  
25 from a lot of input from the Pacific Salmon  
26 Commission, we -- we compare the forecasts that  
27 are produced for not just the top model, but the  
28 top-ranked models and compare the actual forecasts  
29 being produced. Because sometimes performance  
30 between the first-ranked model and the second-  
31 ranked model can be very small, so we want to see  
32 if the forecasts are telling us something  
33 different using a different model form. So we go  
34 through a whole process of evaluating how for each  
35 stock the top models --  
36 Q Okay.  
37 A -- forecast.  
38 Q Okay. So you do the mathematical modelling and  
39 you come up with your best estimate of a forecast  
40 for each of the different 19 stocks in most cases,  
41 and/or the run-timing groups. The Case 3 you only  
42 had run-timing groups for; is that correct?  
43 A That's correct.  
44 Q Okay. So without getting into that minutiae for  
45 right now, that -- those forecasts were then  
46 presented in the 2010 research paper on page 41 in  
47 a graph or a figure that shows sort of the

1 aggregated information put together using the  
2 different models. So we have, if you can turn to  
3 page 41, which is 47 in Ringtail, I think, and  
4 it's not in colour, but hopefully you can describe  
5 what's on that.

6 So this document, as I understand it, the  
7 first graph, which says "A. All Stocks", puts all  
8 of the different run-timing group aggregates  
9 together and it shows the total run size forecast  
10 using "1. Long-Term Average Productivity", which  
11 is sort of the old method.

12 A Mm-hmm.

13 Q And then "2. Recent Productivity", which is Case 2  
14 that you just went through. And then "3.  
15 Productivity Equivalent to 2005 Brood Year", which  
16 is the Case 3 study that you described.

17 A That's correct.

18 Q Okay. And then it's broken down below into each  
19 of the run-timing groups that same function, so  
20 you've got the calculations done for the Long-Term  
21 Average Productivity, the old method, the Case 2  
22 and the Case 3. Okay. So can you just explain,  
23 like, what's being shown on these -- on these  
24 bars, what's -- is this -- this is a probability  
25 distribution, I take it.

26 A Mm-hmm.

27 Q Can you explain how that is to be read?

28 A These are plots to graphically display the  
29 probability distributions of the forecast table,  
30 and it's communicating -- this table is -- this  
31 figure is specifically communicating the random  
32 stochastic uncertainty in the forecast that deals  
33 with what I described earlier in terms of  
34 observation error, what's called variability in  
35 returns from one year to the next, so the width of  
36 that horizontal bar is describing the uncertainty  
37 from those two elements. And in addition it's  
38 also -- these figures are describing uncertainty  
39 in regards to your different assumptions regarding  
40 productivity for Fraser sockeye under the three  
41 different scenarios. So under the assumption that  
42 long-term average productivity will persist into  
43 2010, whether recent productivity is going to  
44 persist through to 12010, or whether productivity  
45 equivalent to the 2005 brood year, which means  
46 productivity that we saw associated with the 2009  
47 returns, which was the lowest on record, whether

1           that will repeat itself through to 2010. So there  
2           are three alternative assumptions about what we  
3           might expect to see in terms of productivity for  
4           Fraser sockeye.  
5           So the width -- the width of those horizontal  
6           bars are describing -- yeah, I'm just repeating  
7           myself.  
8           Q    So that's -- okay. So just in lay people's terms,  
9           if we look at the Long-Term Average Productivity,  
10          the first, grey bar would show what, the ten  
11          percent probability?  
12          A    Yes, the left-hand component of all those bars  
13          which is dark grey on the left-hand side of all  
14          the graphs is the ten percent probability level.  
15          Q    Okay. And then you move into the black bars and  
16          there's a white separator at some point on that  
17          bar. That's -- is that the 50 percent probability  
18          mark?  
19          A    That's correct. So these are the probabilities  
20          extracted from the forecast table and they're  
21          describing the probability of a return coming in  
22          at that return abundance, or below. So the 25  
23          percent probability level would be describing a  
24          probability of being at that run size, so there's  
25          a one-in-four chance that the return would come in  
26          at or below that specified run size.  
27          Q    Okay.  
28          A    So you're right, Wendy, the white bar is the 50  
29          percent probability level.  
30          Q    And the numbers on the -- on the "x" axis, those  
31          are numbers of fish, right, like the --  
32          A    Total returns.  
33          Q    Total returns.  
34          A    Yes.  
35          Q    Okay. So if we look at the Long-Term Average  
36          Productivity bar for 2010, you are predicting, I  
37          take it, if we take the grey bar right out to the  
38          right-hand margin, that there is a 90 percent  
39          chance that the -- sorry there was a 10 percent  
40          chance that the run would be 40-plus million or  
41          less. Is that how we read this?  
42          A    A 90 percent probability that it would be at 41  
43          million or less.  
44          Q    Okay. Oh, sorry, yes.  
45          A    Yes.  
46          Q    I don't know why I keep getting these --  
47          A    Oh, it's --



1 Q -- probabilities reversed, but someday I'll get  
2 it. All right. And then the next line, "Recent  
3 Productivity", there are some arrows pointing to  
4 the different dividers on this graph. Can you  
5 tell me why that is?

6 A The arrows were communicating the exercise we just  
7 went through in identifying the -- the break  
8 points between the 10, the 25, 50, 75 and 95  
9 percent probability levels, and these probability  
10 levels are extracted from the actual three  
11 different tables. So it's those colour breaks  
12 that are identical in terms of what probability  
13 level they're representing on the three different  
14 scenarios for your assumptions about -- the  
15 assumptions about productivity for Fraser sockeye.

16 Q And is there a reason why the Case 2, "Recent  
17 Productivity" is highlighted in that way that the  
18 arrows are pointing to that bar and not one of the  
19 other two bars?

20 A I was just trying -- we were trying to select the  
21 -- the easiest one to illustrate that example.

22 Q Okay. The 2010 return, did it actually come in  
23 within any of the forecasts that were produced for  
24 the 2010 year, the actual return for 2010? Is it  
25 -- does it show, does it fall within any of these  
26 probabilities we see on the graphs?

27 A It's very preliminary, the return results, so they  
28 haven't been finalized yet. But for 2010 the  
29 return I think was around 35 million. So it would  
30 fall within the probability distribution for the  
31 Long-Term Average Productivity scenario. But that  
32 is looking at the total.

33 Q Yes.

34 A Yes. So it does.

35 Q Okay. I mean, the Commission has heard at public  
36 hearings that the 2010 forecast was inaccurate and  
37 that caused various problems. Do you consider  
38 that the 2010 forecast was inaccurate, based on  
39 the work that you did?

40 A The -- well, I guess, when you're looking at these  
41 probability distributions, they are describing the  
42 total distribution. The actual return does -- if  
43 you look at -- break it down by stock, we don't  
44 have all the final details for all the stock  
45 breakdowns, but the -- these probability  
46 distributions are describing the -- I guess using  
47 the word "inaccurate" is probably not what I would

1 describe it as. These forecasts are describing  
2 the range of uncertainty and our knowledge based  
3 on these different assumptions about future  
4 survival, and what the returns came back at,  
5 particularly for certain stocks, particularly Late  
6 Shuswap and the Early Summer Shuswap group came in  
7 on the higher end of the probability distribution.  
8 Other stocks came within the probability -- came  
9 in some cases below the 50 percent probability  
10 level for the Long-Term Average, sometimes above.  
11 So there's lots of variability in productivity for  
12 the returns that we saw in 2010.

13 So what these forecast scenarios are doing is  
14 placing those returns in the context of the  
15 different assumptions about future productivity  
16 and providing a measure of where those actual  
17 returns are falling out in regards to long-term,  
18 recent or 2005 brood year productivity. So they  
19 were on the map in terms of long-term average  
20 productivity. So what the forecasts are telling  
21 us is that for a lot of stocks, the 2010 returns  
22 were well above average for the case of Late  
23 Shuswap, but they're also telling us for some  
24 stocks, because you have to go through the  
25 complexity of all the stocks that exist, that some  
26 stocks were below average in terms of long-term  
27 average productivity. So we use the forecast to  
28 -- as a sort of map to place the returns in the  
29 context of the different productivity scenarios.

30 MS. BAKER: Okay. Mr. Commissioner, I wasn't keeping a  
31 very close eye on the clock, and I see it's  
32 already almost 20 after 11:00. Did you want to  
33 take a break here?

34 THE COMMISSIONER: Yes.

35 MS. BAKER: Thank you.

36 THE REGISTRAR: The hearing will now recess for 15  
37 minutes.

38  
39 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)  
40 (PROCEEDINGS RECONVENED)

41  
42 THE REGISTRAR: Hearing is now resumed.

43 MS. BAKER: Can you just turn your mike on? Thanks.

44  
45 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

46  
47 Q So I'd like to go back to the 2010 research

29  
Sue Grant  
In chief by Ms. Baker

1 document and actually, could I have this marked as  
2 an exhibit, just for reference?  
3 THE REGISTRAR: Exhibit number 352.

4  
5 EXHIBIT 352: Pre-Season Run Size Forecasts  
6 for Fraser River Sockeye Salmon in 2010  
7

8 MS. BAKER:

9 Q If I can ask you to turn to page 44, which I think  
10 is 48 in the Ringtail numbers -- sorry, 50.  
11 Apparently I can't count.

12 This table sets out - and let me just back up  
13 for a minute. You did a table that sets out the  
14 results of your bottle runs for each of the three  
15 cases, correct?

16 A Yes.

17 Q So I'm just going to, in the interests of time, go  
18 to case 2. I understand case 2 is what was  
19 ultimately recommended for the 2010 forecast; is  
20 that right?

21 A The -- yes. I'll just elaborate on that. It was  
22 the CSAP Salmon Subcommittee had put that forward  
23 as the forecast with the greatest weight of  
24 evidence, the most plausible forecast. So Case 2  
25 was in light of recent low productivity put  
26 forward as the most plausible; however, the first  
27 and the third case were still considered within  
28 the realm of possibility. We just had the  
29 greatest weight of evidence put forward for case  
30 2.

31 Q Okay. So with that in mind, I think I'll just  
32 focus on case 2 for today's hearing, just to  
33 review it. So this document or this page of the  
34 document, I should say, sets out your forecast  
35 results using that recent productivity analysis  
36 that you described earlier?

37 A That's correct.

38 Q Okay. And again, on column A it sets out all the  
39 different stocks within the run timing groups,  
40 including the miscellaneous stocks?

41 A Yes.

42 Q And then the next Column B, this sets out the  
43 different models that you use to create the  
44 forecast, the ones that were most appropriate for  
45 those stocks?

46 A That's correct.

47 Q All right. And then what do the tables C, D, E,

January 26, 2011

1 F, G and with the nice colours, what does all that  
2 describe?  
3 A Those columns are setting the stage or providing  
4 background for the forecasts. And for the models  
5 being used, the -- the Brood Year escapement is a  
6 key input to a lot of the different models and the  
7 Brood Year escapement, so Column C has BY and then  
8 in brackets (06) and then underneath EFS and  
9 that's Brood Year 2006 effective female spawners,  
10 so that's the predictor variable that we use in  
11 most models.  
12 Q So if I can just stop you for a minute --  
13 A Yes.  
14 Q -- those show the parent generation for the four-  
15 year-old returns; is that right?  
16 A Yes. That's correct.  
17 Q Okay.  
18 A The parental females from -- for the fish  
19 returning in 2010. That's correct.  
20 Q As four-year-olds?  
21 A As -- sorry.  
22 Q And then the one beside it is the same but is it  
23 for the five-year-old numbers?  
24 A Yes.  
25 Q Okay. And then what do the colours mean, yellow,  
26 red and green?  
27 A Based on time series averages for each individual  
28 stock, we created a distribution and -- a  
29 distribution of Brood Year escapement or in the  
30 case of Columns E and F, a distribution of  
31 productivity in the last -- oh, productivity on  
32 the time series and a distribution of returns, and  
33 we broke that into three categories, whether it  
34 was below average, which it would -- below the  
35 time series average, so we would colour code it  
36 red if the Brood Year escapement or the  
37 productivity or the returns are average, we'd  
38 colour them yellow in this table. And if they're  
39 above average, they'd be coloured green.  
40 So we're using this as a tool, a ground  
41 truthing tool, as well as a tool to give you an  
42 idea of how the returns are -- what are driving  
43 the returns we would expect. So in this forecast  
44 scenario, because we're looking at recent  
45 productivity, I wanted to -- we wanted to  
46 highlight in Column C, in particularly Column C,  
47 which is the driver, that most of the Brood Year

1 escapements for most of stocks as a starting point  
2 for what we expect to see in the future was  
3 generally a lot of the stocks were yellow or  
4 green. So they were either average or above  
5 average in terms of their Brood Year escapement,  
6 so at the very starting point in the forecasting  
7 process, the number of parents that were around in  
8 most of the systems was actually average or above  
9 average. So things were good from that  
10 perspective, starting out.

11 There were four stocks that were below  
12 average, so Bowron, Late Stuart, Quesnel, Weaver  
13 were four stocks that had below average Brood Year  
14 escapements so they're starting out, out of the  
15 starting blocks, a little bit behind everything  
16 else for those individual stocks, given their own  
17 individual long-term time series for escapements.  
18 So that's part of the story when you're generating  
19 a forecast.

20 The other parts of the story, the five-year-  
21 old component, the contribution of the five-year-  
22 old parents, the parents that are producing five-  
23 year-olds in 2010 are playing a very small role in  
24 this forecast, because we were assuming that  
25 productivity associated with these five-year-olds  
26 is identical to the four-year-olds that came back  
27 in 2009, so the lowest productivity on record for  
28 most stocks because the five-year-olds came from  
29 the same parents as the fish that returned in 2009  
30 and they hit the ocean at the same time as those  
31 fish hit the ocean in 2009, so they experienced  
32 almost identical survival conditions. The only  
33 difference is they spent one additional year in  
34 the ocean.

35 So we're making an assumption that these  
36 five-year-olds -- I put it there just as a gauge  
37 for how the five-year-old contribution is doing,  
38 so in terms of red and green, but in a way they're  
39 not playing a big role in the forecast, because  
40 the five-year-olds are being forecast using the  
41 very low productivity that we saw in 2009, because  
42 we expect them to be hit similarly by that low  
43 productivity. So the four-year-olds, Column C, is  
44 really driving the total return as a predictor  
45 variable.

46 Then in Column E and F -- so there's three  
47 key factors that determine how many fish you might

1 expect to see. The first is how many parents do  
2 you have - so that's the Brood Year escapement -  
3 and how many parents are you starting out with.  
4 The second important variable is the age structure  
5 which I've just described, so what is that? How  
6 old are they when they return? So Fraser sockeye  
7 mostly are going to return as four-year-olds, so  
8 we're really focused on Column C.

9 The third important thing is the survival.  
10 So if you know how many parents there are and you  
11 know survival, you've got your answer. So what  
12 Column E and F are describing are the recent  
13 productivities for Fraser sockeye. So the last  
14 eight years, Column E is productivity in the last  
15 eight years and F is productivity in the last four  
16 years. And again, we're colour coding these  
17 productivities in the last four years and the last  
18 eight years relative to the time series, and if  
19 the recent productivities are below average,  
20 they're coloured red --

21 THE COMMISSIONER: Just ask you a question?

22 A Yeah.

23 THE COMMISSIONER: I'm -- I'm trying to follow the four  
24 and five-year split.

25 A Okay.

26 THE COMMISSIONER: Do the models take into account that  
27 -- you mentioned 2009 is the lowest productivity  
28 year on record.

29 A Yes.

30 THE COMMISSIONER: Right. Do the models build into  
31 their calculation a factor for perhaps the 2009  
32 year showing up in 2010, along with the 2010  
33 expectation in terms of returns? So if there was  
34 some reason that we don't know of why there was a  
35 delay for more than the usual number of sockeye --

36 A Mm-hmm.

37 THE COMMISSIONER: -- in other words, they didn't come  
38 back in the four-year span but for some reason  
39 that we don't know --

40 A Mm-hmm.

41 THE COMMISSIONER: -- there was a cause for this  
42 delay --

43 A Mm-hmm.

44 THE COMMISSIONER: -- so that more came back along with  
45 what was expected for the 2010 year, so you get  
46 this --

47 A Mm-hmm.

1 THE COMMISSIONER: -- now, you know, the bookend. We  
2 have an extreme low return --

3 A Mm-hmm.

4 THE COMMISSIONER: -- with an extreme high return.

5 A Mm-hmm.

6 THE COMMISSIONER: How do the models adjust for those  
7 -- you talked about uncertainties earlier  
8 around --

9 A Mm-hmm.

10 THE COMMISSIONER: -- environmental factors and so on.

11 A Yeah.

12 THE COMMISSIONER: But just in terms of other kinds of  
13 factors that may be playing, do the models take  
14 any of that into account or are they, as you say,  
15 giving a very low weight attached to the five-  
16 year?

17 A Now, that's a really good question and I'll  
18 explain in response to that. It's a very good  
19 question because people -- that was coming up in  
20 public spheres, scientific spheres, with the low  
21 returns in 2009, was there the possibility that  
22 those four-year-olds just delayed and were  
23 returning as five-year-olds. With the forecasting  
24 process, we're using the past to predict the  
25 future. And in the past - and we did look at this  
26 intensively - was -- we've never really seen that  
27 kind of response in the age four and five age  
28 structure. It's never been seen before where  
29 there's a massive signal where you see a massive  
30 shift in age proportions.

31 So generally speaking, for most Fraser  
32 sockeye stocks, the age four component makes up  
33 about 95 percent of the total age structure. And  
34 throughout time for most of those stocks, that age  
35 structure doesn't vary. If it does, it's very  
36 little.

37 We've never seen on the time series for any  
38 stock -- and I'll explain one exception after I  
39 finish this part, is that we've never seen a shift  
40 like that. So even though that was out there as a  
41 hypothesis, looking at our historical data which  
42 is what we use to forecast and move forward into  
43 the future, we've never seen that kind of delay in  
44 the five-year-olds that would create a surplus in  
45 the next generation. So what you are suggesting  
46 -- or what your hypothesis would have been would  
47 be we would expect, instead of the usual 85

1 percent in 2010 of age fours, we might see 85  
2 percent age fives because they've all come back  
3 from the previous year. But because we use the  
4 past to predict the future, we've never seen that  
5 for the Fraser sockeye stocks except for one  
6 exception, and I'll explain that.

7 And we're using the past to predict the  
8 future. We wouldn't build that into the models.  
9 We would still use the classic age proportions  
10 that we've seen on the historical time series. So  
11 there's no -- that would be an event that would be  
12 outside of our range of understanding, so we  
13 couldn't incorporate it into our models because  
14 we've never seen it before. So it's a hypothesis.  
15 If it came true, it would have been very  
16 interesting and it would have added to our time  
17 series and it would add more knowledge for future  
18 hypothesis-building, but for the current year, we  
19 didn't have any evidence that that's occurred  
20 ever.

21 Harrison, I'll just explain, is one  
22 interesting stock. You've probably heard about it  
23 already throughout the testimony. Harrison  
24 sockeye are three and four-year-old fish and  
25 they're unique because all other stocks spend an  
26 additional year in the fresh water after they  
27 emerge from the gravel, so they rear in a lake and  
28 then after that year of rearing in a lake, the  
29 migrate to the ocean, so they've got a longer  
30 freshwater life history; whereas Harrison sockeye,  
31 when they emerge from the gravel, they shortly  
32 after that emergence are migrating to the ocean.  
33 There's some -- some research that shows that they  
34 rear in sloughs along the way, but not for very  
35 long.

36 Harrison sockeye, as a result, have a  
37 different age structure. We call them three-sub-  
38 ones, four-sub-ones, because they only have that  
39 one year in the gravel, and in reference to your  
40 question about age structure, Harrison do  
41 fluctuate wildly from one year to the next from  
42 three-year-olds to four-year-olds, so they're the  
43 only stock where we see that kind of fluctuation  
44 in age structure.

45 And there's some linkage with Harrison  
46 delaying a bit more in the marine environment when  
47 pinks are out there, as well, so a hypothesis



1           could be that Harrison are out in the ocean, the  
2           same time as pinks. They have a similar life  
3           history to pinks because pinks also migrate to the  
4           ocean right away. They don't rear in the fresh  
5           water, so they're presumably competing for the  
6           same food resources in the ocean.

7           And because Harrison is competing with this  
8           large abundance of pink - and this is a  
9           hypothesis, not fact - but they could be competing  
10          for the same resources out there in pink years and  
11          as a result they need an extra year in the ocean  
12          before they can return. So in pink years, we do  
13          see a slight delay in migration on Harrison  
14          sockeye, meaning that in pink years, we do see a  
15          slightly greater four-year-old proportion than  
16          three-year-old proportion, 'cause Harrison are  
17          three- and four-year-olds.

18          But they're the only stock we've ever seen  
19          anything like that for, evidence that their age  
20          structure dramatically shifts from one year to the  
21          next. So to answer your question, we haven't  
22          built that into the forecast because we've never  
23          seen it before. So that would -- that's an  
24          interesting hypothesis and, of course, people were  
25          curious to see whether the age structure in 2010  
26          was going to be flipped around and that would have  
27          been really fascinating, but we didn't see that  
28          and it does map onto what we've seen historically.  
29          We've never seen that kind of flip-flop in age  
30          structure delay.

31        THE COMMISSIONER: So where in the model do I see the  
32          five-year factor being considered?

33        A     The age proportions?

34        THE COMMISSIONER: Right.

35        A     When we're generating the forecasts, so say for --  
36          I'll just start -- say with the biological model,  
37          we'll generate -- we'll take the Brood Year  
38          escapement, so we have a relationship between  
39          Brood Year escapement and recruitments, so say  
40          simply -- we've got Brood Year escapement and  
41          recruitment and then we've got sort of a model  
42          going through and you draw up -- so you say your  
43          Brood Year escapement is 10,000 fish and just  
44          putting it simply, say there was just a straight  
45          line, like a linear regression straight line. You  
46          just map up on your X-axis --

47        THE COMMISSIONER: Oh, I see.

1           A     -- and you map across.  So then you go, okay,  
2                    there's 10,000 fish.  That maps onto 20,000  
3                    recruits.  And we use the word "recruits" to  
4                    describe the number of fish that comes back from  
5                    that parental generation and those recruits  
6                    include four- and five-year-olds.

7                    And so what we do is we take -- that's why  
8                    the two columns, C and D, are in there.  We would  
9                    take Column C, so say for Early Stuart we would  
10                   take the 15,900 in this -- say this RS4 year -  
11                   this is recruits per spawner in the last four  
12                   years - multiplied by Brood Year escapement.  We  
13                   would multiply that Brood Year escapement in 2006  
14                   brood year, which leads to four-year-olds, but  
15                   what we're doing is we're generating a forecast  
16                   for total recruits coming from those parents.

17                   So from 2006 four years later there would be  
18                   four-year-olds coming out of that and five years  
19                   later there would be five-year-olds coming out of  
20                   that, but we're just generating a forecast for the  
21                   total four and five-year-olds from that, and we  
22                   only want the four-year-old components from that,  
23                   so we multiply the total recruits that we get from  
24                   that Brood Year escapement by the proportion of  
25                   four-year-olds we see on the time series.

26                   So say for Early Stuart it's 85 percent four-  
27                   year-olds, we would take for Brood Year '06  
28                   15,900.  We would get a recruitment from that and  
29                   multiply that by the proportion of four-year-olds,  
30                   and that gives us the four-year-old component of  
31                   the forecast.  And it's -- stock recruitment  
32                   tables, you have to flip your mind around from  
33                   returns and recruits.  Because a parental  
34                   generation -- it's like your offspring will grow  
35                   up -- some of their babies will be mature at four  
36                   years and some a year later at five.  So all the  
37                   recruits coming from this Brood Year escapement  
38                   are coming back in 2010 and also in 2011, but we  
39                   only want the component that's coming back in 2010  
40                   from those parents.

41                   And then the 2005 Brood Year, flipping that a  
42                   little bit, there -- that Brood Year escapement is  
43                   51,000.  What we would do is we'd multiply the  
44                   51,000 by recent productivity.  That's now the  
45                   year before, the 2005 Brood Year.  This parental  
46                   generation would be producing again offspring in  
47                   four years later and five years later.  And

1 because this is the '05 Brood Year, they would  
2 have produced four-year-olds in -- the previous  
3 year, in 2009, and they would produce five-year-  
4 olds in 2010. So what we're doing is we're taking  
5 that Brood Year escapement, multiplying it by the  
6 productivity, and we'll get a total recruitment  
7 for those parents. Their kids came back four  
8 years and five years later, but we in this case  
9 only want the five-year-olds coming back because  
10 the four-year-olds came back in 2009. So we're  
11 multiplying that by the five-year-old proportion,  
12 which would be the inverse of the four-year-old  
13 component, so a small percentage, like around 20  
14 percent of the total run -- or 20 percent of the  
15 total age proportion.

16 So each of these Brood Years are producing  
17 offspring four and five years later and we're  
18 taking that total and assigning only the four-  
19 year-olds coming back and the five-year-olds  
20 coming back and then we add those two numbers  
21 together to get the total. And it's -- that's  
22 where the age proportion comes in.

23 THE COMMISSIONER: Right.

24 A Yeah.

25 THE COMMISSIONER: Thank you.

26 A Okay.

27 MS. BAKER:

28 Q Okay. Thank you. Then if we look at the table,  
29 we continue to look at the table, it shows in H  
30 and I the mean run sizes for all cycles and then  
31 for the 2010 cycle; what is that describing?

32 A The mean run sizes place the forecast distribution  
33 in the perspective of what we've seen historically  
34 on average. There's Column H is across all the  
35 cycles, so Fraser sockeye have -- they're four-  
36 year-old fish, 85 percent of the -- each stock is  
37 generally four-year-olds, so we usually describe  
38 Fraser sockeye on -- using cycles.

39 So it's not that they're completely  
40 independent of one another, but each four-year  
41 cycle since they come back in four years is almost  
42 a unique population so there's parents, their  
43 offspring come back four years and four years and  
44 four years, so they're forming their own, perhaps,  
45 productivity pattern or their own like cyclic  
46 abundance, there's some cycles are more abundant  
47 than others. So we, in addition to looking at all

1 the cycles, all four -- all years combined, we  
2 also look at the specific cycle that we're looking  
3 at.

4 So, for example, Late Shuswap in 2010 is  
5 dominant. It's on its dominant cycle, so that's  
6 once in every -- once every four years Late  
7 Shuswap comes back at the largest abundances  
8 across all cycles, so that's why it's important to  
9 compare the forecast distribution to also the  
10 cycle average, which tells you specifically  
11 anything unique. Some stocks don't exhibit  
12 differences in cyclic -- cycle line abundances,  
13 and other stocks, Late Shuswap is the key example  
14 that comes back at much larger abundances once  
15 every four years. So those two are for reference  
16 to the forecast, so you can place the forecast in  
17 Column J to N in the context of the cycle average  
18 and then Column I specifically is used to place  
19 Column L, which is the 50 percent median  
20 probability level in the context of how the 50  
21 percent probability forecast is doing relative to  
22 average, which is the colour coded Column G.

23 Q Okay. So in simple terms, all cycles means every  
24 single cycle without distinguishing on a cycle  
25 abundance basis, just what the mean is.

26 A Yeah.

27 Q And then 2010 cycle is looking at the 2010 year,  
28 2006 year, 2002 year and so on back in time and  
29 looking at the means just on that cycle line?

30 A That's correct.

31 Q Okay. And then Columns J, K, L, M, N, these  
32 describe the different probabilities that you  
33 would expect running those models and these are  
34 the probabilities that we were looking at  
35 previously on page 41 on your horizontal bar  
36 graphs, correct?

37 A That's correct.

38 Q All right. Okay. Then that -- I think that's  
39 probably enough for me on that document. Probably  
40 enough for everybody on that document. It's a  
41 great document, but it's pretty dense.

42 The contact -- once that work had been done,  
43 you created a SAR document which you described  
44 earlier. That's Exhibit 341 for the 2010 year.

45 Okay. And as you had described just after the  
46 break, I had said to you well, case number 2 is  
47 what was recommended and you indicated that it was

1 put forward, all three cases were put forward in  
2 the SAR but the highest probability table or case  
3 study was 2 and that's given the most highlight in  
4 this document. If we turn to page 8 that sets out  
5 the table that we just reviewed minus a couple of  
6 the columns. That's right?

7 A Yes.

8 Q Okay. And then if we turn to the next page, this  
9 sets out some summary information on the other two  
10 case studies, the long-term average and the  
11 productivity equivalent to the 2005 Brood Year,  
12 correct?

13 A Yes.

14 Q Okay. Did you -- do you think that there was  
15 value in performing these three different case  
16 studies using these different assumptions? Was  
17 that a useful exercise?

18 A Yes. I would say that producing three different  
19 tables for our different assumptions about Fraser  
20 sockeye survival through to 2010 was a valuable  
21 exercise.

22 Q And why is that?

23 A The -- the three tables have been useful,  
24 particularly -- well, they're useful for framing  
25 out the uncertainty in the forecasts -- in the  
26 return in 2010 associated with our forecasts, both  
27 from, as I'd mentioned earlier, by presenting the  
28 probability distribution from the ten to the 90  
29 percent probability level, it's describing that  
30 uncertainty in the models, the process, the  
31 observation error, et cetera, within the models,  
32 but we're also presenting the uncertainty in these  
33 three tables regarding future survival. So  
34 whether we expect 2010 to return at recent  
35 productivity, aligned with recent productivity,  
36 long-term average or whether we expect 2009 to  
37 repeat itself.

38 The usefulness of the tables laid out this  
39 way, if we had just presented the recent  
40 productivity table or we just continued on with  
41 the long-term average productivity table, the  
42 advantage of these tables was to place the returns  
43 that we saw coming back on these as maps, so  
44 particularly with greater stock detail. So these  
45 SARs, particularly for the long-term average  
46 productivity, there was more detail for the  
47 individual stocks on -- in the research document

1 for 2010 versus what's in this table we've  
2 simplified, because this is a communication  
3 document and we were really putting forward the  
4 recent productivity forecast, but the research  
5 document is also used during Fisheries planning  
6 processes, so they would have the greater detail,  
7 as well.

8 So when stocks are returning, it enables us  
9 to place on these maps where these stocks are  
10 falling out, so often in -- we've heard a lot in  
11 the press, fix a real focus on 50 percent  
12 probability levels and they're being communicated  
13 often as deterministic single point estimates, but  
14 these forecasts are actually describing the range  
15 of uncertainty we're seeing both as I'd mentioned  
16 in process observation error, as well as in  
17 different assumptions about future survival. So  
18 what they're used as or what we can use them as is  
19 a map to place the stocks as they're coming in  
20 onto these different probability -- these  
21 different assumptions about survival and it gauges  
22 right away where we're at.

23 So in the case of stocks, we had recommended  
24 since we'd seen productivity in recent years had  
25 been quite low, we made assumptions that the  
26 greatest weight of evidence was that we'd expect  
27 to see that in the future but what we started to  
28 see with the stocks as they were returning was, in  
29 fact, they were coming in closer to the long-term  
30 average than they were the recent average. So  
31 even though the greatest weight of evidence was on  
32 the recent productivity, we weren't saying that  
33 these other scenarios couldn't happen because we  
34 actually don't have indicators telling us which of  
35 these scenarios could happen. We just felt that  
36 the past, immediate past, would predict the future  
37 better than the historical time series.

38 So as the run started coming in, we started  
39 placing them on these maps, realizing that Early  
40 Stuart was coming in greater -- so that's the  
41 first run-timing group to enter the Fraser  
42 watershed, and that group started coming in at the  
43 high end of the recent productivity scale. And  
44 but when you place it on the long-term average  
45 productivity scale that uses the whole time  
46 series, not just the recent productivity, it  
47 started referencing where that stock is actually

1 falling in reference to a long-term average. So  
2 that one roughly was coming in around 100,000. I  
3 don't -- they're not final numbers yet, but you  
4 can see that it places it between the 25 and the  
5 50 percent probability level on the long-term  
6 average productivity table. So it's actually  
7 closer to long-term average than it was recent  
8 productivity. That's the first stock to enter the  
9 Fraser watershed.

10 Then -- there's overlap between all these  
11 four run-timing groups, but it's starting to give  
12 an early sign that things might have been better  
13 throughout that life history of Fraser sockeye  
14 from the egg stage all the way through to the  
15 adult return. There was some signs that Early  
16 Stuart was coming back better than the low  
17 productivity we'd seen in recent years. And as  
18 other runs started coming in, we don't necessarily  
19 have the detailed stock breakdown, but we have  
20 aggregates of stocks depending on how fine of a  
21 genetic analysis we're doing on the returns as  
22 they're coming in, because we don't get down  
23 specifically in season to specific stocks. But  
24 there were signs that particularly the Shuswap run  
25 was coming in much better than expected, and  
26 that's the Early Summer Shuswap run, so it's  
27 occupying some of the same habitat that the Late  
28 Shuswap, which is the Adams run, which was the  
29 massive run in 2010, that run in the Early Summer  
30 component, we started seeing signals that that was  
31 falling out high in the long-term average  
32 productivity table.

33 There's a lot of nuances to the individual  
34 stocks, so often we do fixate on a single number,  
35 like the 2009 forecast; 10.6 million is a number  
36 that's used over and over again but really you've  
37 got to focus on the nuances of the forecast tables  
38 amongst all the stocks and the probability  
39 distribution. In 2010 the value of these tables  
40 are is being able to place the individual stock  
41 groupings you have as they're coming in right away  
42 onto a map that's telling you what productivity  
43 was like for the individual stocks.

44 And we always hear -- we over-simplify it a  
45 lot. We'll say 2010 was a bonanza year; 2009 was  
46 a crappy year or a bad year. But there's actually  
47 nuances to the stocks that you can see within the

1 forecast tables. So, for example, 2010 was really  
2 great for the Shuswap run stocks, so Late Shuswap,  
3 which was the Adams, which we knew even from the  
4 start was going to drive the forecast. We hadn't  
5 seen productivity declines for it, so in fact,  
6 even in the recent productivity forecast, we  
7 weren't -- the forecast in the recent productivity  
8 versus the long-term average for Late Shuswap  
9 wasn't too different, because we hadn't seen  
10 productivity declines for Late Shuswap, which was  
11 the driver of the 2010 forecast. It's actually  
12 had very stable productivity over time, relative  
13 to all the stocks that have been showing these  
14 declining trends.

15 And so based on our recent knowledge, as well  
16 as our historical knowledge for Late Shuswap, we  
17 didn't expect to see a real drop in abundance for  
18 Late Shuswap. We didn't expect to see lower  
19 productivity. And if you look at the two tables,  
20 especially in the research document for Late  
21 Shuswap, you won't see a big difference between  
22 Late Shuswap for the long-term average  
23 productivity table and Late Shuswap for the recent  
24 productivity table. They both have very similar  
25 forecasts because we didn't see declines in  
26 productivity.

27 So that was interesting about 2010 and these  
28 three tables, because Late Shuswap, which again we  
29 expected to return at high abundances, actually  
30 turned at really high abundances. It was -- I  
31 believe they probably came out at the 90 percent  
32 or above the 90 percent probability level, so  
33 we're at the tails of the distribution. So they  
34 were actually, based on this kind of system of map  
35 -- or just kind of placing them on the map of the  
36 three forecast tables, you could tell right away  
37 that Early Summer Shuswap were coming back at --  
38 on the long-term average, even above average. And  
39 but you could also see that other stocks, even  
40 Early Stuart -- 'cause when we say 2010 was a  
41 gangbusters year, Early Stuart actually didn't --  
42 it was better than recent productivity, but based  
43 on the long-term average, it was still below  
44 average.

45 And there's other stocks that are below  
46 average, so it's important when we're looking at  
47 the forecasts to really focus on the complexity of



1 the forecast tables, not default to just a single  
2 number like 10.6 million. And these tables, the  
3 real benefit is that perspective, that even in  
4 season people -- science, scientists and people  
5 using the information in season to manage the  
6 fisheries could start switching their attention to  
7 the long-term average productivity table. They  
8 started seeing signals and they had a table right  
9 in front of them that would say if things are  
10 above average now, this is what we're looking at  
11 more than this recent productivity, and they could  
12 clearly say that we weren't experiencing what we  
13 saw in 2009.

14 So we -- fairly early on, I'm sure the --  
15 that was out of the realm. People were starting  
16 to think okay, we're not going to see 2009 again.  
17 And then you started seeing that it is actually  
18 better than recent productivity, so it's more on  
19 the long term. But amongst all those stocks,  
20 there's still nuances, which is always important  
21 to keep in mind. The same for 2009, there's a lot  
22 of nuances to the returns.

23 It's not -- in 2009, almost every stock was  
24 bad, poor productivity, amongst the lowest on  
25 record. But Harrison was still an exception in  
26 2009, so when you look at the full forecast table,  
27 you could see Harrison actually came in above the  
28 -- above average in terms of its productivity.

29 And even within these probability levels,  
30 stocks aren't all coming in at the same kind of --  
31 within their forecast distribution, so although we  
32 do a summation at the end, it's really important,  
33 especially for management purposes, I think, as  
34 well, to make sure you focus on the stocks and the  
35 run-timing groups. And it's a long answer to why  
36 those three tables are important.

37 Q Thanks. Do -- can the run size forecasts be  
38 updated after the SAR has been developed? Are  
39 changes made?

40 A Changes can be made to the forecast all the way up  
41 to when they're being used. It's only -- it would  
42 be the best practice, which is what we do, that if  
43 new information comes to us or there's revisions  
44 that we need to make to the forecast, we will --  
45 we can do it all the way up to when it's being  
46 used. So changes could be made to the forecast.  
47 The paper itself wouldn't change because it's a

1 published document with a number associated with  
2 it and it's published on the CSAS website, so that  
3 would never change, but there could be changes to  
4 the forecast itself. It's possible that you could  
5 make changes and there would be processes if the  
6 forecast changed.

7 I know we made a revision to the Early Stuart  
8 forecast in 2009, I believe, and that revision  
9 came in light of new revisions to our escapement  
10 time series for the Brood Year, so the parental  
11 generation. There was revision to the numbers  
12 from the data that we were using and it had a big  
13 effect on the forecast. So we didn't -- oh, at  
14 the time, actually, the forecast paper hadn't been  
15 put online, so we were able to make it within the  
16 document. But if the document had been published  
17 and that change occurred, we would still put that  
18 change through public channels and through  
19 processes, so the Fraser Panel, for example, that  
20 deals with in-season management of Fraser sockeye  
21 would get an update as soon as we had that  
22 information available to update them on changes  
23 we'd made to the forecast. So it's best practice  
24 to -- if there is a chance, we wouldn't sit on it  
25 and not inform the people who need to know to make  
26 management decisions.

27 Q Okay. This is a question I've asked a couple of  
28 other witnesses who have been here. There are  
29 uncertainties, as you've described, with pre-  
30 season forecasts and then there's differences  
31 between the pre-season forecasts and what's  
32 observed in season. So given those uncertainties  
33 and the differences that are observed when the  
34 runs return, are these forecasts valuable? Are  
35 they worth generating?

36 A Well, when you say differences, we should clarify  
37 that there are -- in most years the returns fall  
38 within the forecast distribution. So they're not  
39 different. They're just falling within the  
40 forecast distribution at a different probability  
41 level.

42 Q Okay.

43 A And your question was...?

44 Q Was are they a useful thing to do? Are they  
45 providing useful information or do they just  
46 create confusion and is it --

47 A Mm-hmm.

1 Q -- 'cause we certainly hear a lot of people  
2 stating that the forecasts are unreliable, that  
3 they're inaccurate and is that a problem with the  
4 communication or is that a problem with the  
5 forecasting information you're providing?

6 A I would say it's a problem with communication.  
7 Even the terminology "inaccurate" is inaccurate.  
8 You wouldn't say the forecast is inaccurate. You  
9 would -- the return is just falling within the  
10 probability distribution lower or higher than the  
11 50 percent probability level. But people are  
12 often fixated, especially -- because it is  
13 complicated. I can't remember all these numbers  
14 in this table, so it's much easier to remember  
15 10.6 million than the complexity of this table.  
16 So the -- I know where I'm going. I just have  
17 to...

18 So -- so, yeah, it becomes a problem with  
19 communication. There's a lot of wording that's  
20 used to describe the forecasts, especially in  
21 light of 2009 where people are fixating on the  
22 10.6 million number. And it's really over-  
23 simplifying the forecast as it's presented in  
24 terms of the probability distribution, the  
25 uncertainty we have associated with the forecast  
26 and the fact that DFO never expects the 50 percent  
27 probability level to be what will return. That's  
28 a mid-point in the probability distribution and we  
29 actually have a one-in-two chance that the run  
30 will come in above or below that actual value. So  
31 that value isn't a deterministic DFO expects 10.6  
32 to come back. We actually expected a range from  
33 3.6 to 36.6 or whatever the range was, roughly in  
34 that range, to come back, and that's our  
35 probability distribution.

36 And we also say we expect -- the forecasts  
37 are used to say well, we expect a return to come  
38 back, say, at the 25 percent probability level, so  
39 for -- I'm not sure if we're -- if we just move  
40 back on the -- to the previous page for Table 1.  
41 Thank you.

42 The 10 percent probability level, say, for --  
43 or the 25 percent probability level for Early  
44 Stuart, say, is -- there's a one-in-four chance  
45 that we would expect that the return would come  
46 back at 26,000 or less, given the environmental  
47 conditions that this particular table is

1 associated with. So given recent productivity, we  
2 would expect that 26,000 fish would come back or  
3 less, given recent productivity. So there's a lot  
4 of statements you're making when you're talking  
5 about the forecasts. We're not saying DFO expects  
6 11.4 million to come back. We're saying for Early  
7 Stuart, there's a range of probabilities based on  
8 our range of experiences we've seen in the recent  
9 productivity; that under the assumption of recent  
10 productivity we expect a one-in-four chance that  
11 it'll come back at 26,000 or less, a three-in-four  
12 chance that it'll come back at 66,000 or less.

13 So with the forecasts, it's -- those kind of  
14 words -- we're getting back to communication.  
15 It's been highly over-simplified in how it's been  
16 communicated broadly to the Canadian public and  
17 how it's been picked up as a point estimate. And  
18 it's also being -- 'cause it's a complex issue.  
19 It's very -- like I said, memorizing this table  
20 would not be -- it might be humanly possible for  
21 some people but most people not, so you tend to  
22 simplify and say we expect 10.6. But this table  
23 is just describing our -- we're always using the  
24 past to predict the future and this assumption in  
25 Table 1 is given recent productivity, this is the  
26 range of returns we would expect to see if this  
27 productivity persisted into the future.

28 So I'm -- that's the first part of your  
29 question is just explaining the communication  
30 disconnect in how the tables are actually quite  
31 complex, they are explaining the uncertainty given  
32 your assumptions so in previous years for 2009 we  
33 just had the long-term average table. That was  
34 the only table we were using. And in that for a  
35 particular model we would be saying we would  
36 expect a one-in-two chance that the run would come  
37 back at 10.6 million. Given the environmental  
38 conditions we've seen on the historical time  
39 period.

40 If environmental conditions go off what we've  
41 seen in that historical time period, then of  
42 course the forecast -- the return is actually  
43 going to come outside of the range of  
44 probabilities that we assign because we've never  
45 seen it before. So the past is used to predict  
46 the future and we're trying to communicate what  
47 the past is informing us in terms of the

1           uncertainty with the forecasts and the nuances  
2           between the different stocks.

3           So there has been a real over-simplification  
4           of the forecasts that have -- and misuse of terms  
5           like "inaccurate" or "completely wrong" or those  
6           kind of terms. The forecast is actually quite  
7           informative to tell you that right away it's what  
8           we're seeing in 2009 is actually completely  
9           different from what we've ever seen historically.  
10          It is amongst the lowest productivity or is the  
11          lowest productivity on record for a lot of stocks.  
12          So when something is outside of your historical  
13          range of understanding, you're not going to pick  
14          it up in these types of models because they're  
15          forecasting the future based on what we've seen  
16          historically. So that's the communications part  
17          of your question.

18          But the other part of your question is are  
19          these useful and I think that they are useful from  
20          multiple perspectives. I already described why  
21          they're useful from the perspective of placing  
22          returns in the context of the forecast and I think  
23          in the case of 2009 it was a very useful tool and  
24          unfortunately, the message that got out was a  
25          little backwards. You know, it was all this --  
26          people being upset that the forecasts were wrong  
27          and in fact, what the message is is that based on  
28          our historical understanding of Fraser sockeye  
29          population dynamics, 2009 was very strange. We'd  
30          never seen it before.

31          So the real message, unfortunately, got  
32          missed a little bit with how it was being  
33          communicated and it should have been wow,  
34          something really exceptional happened in 2009  
35          because it's falling at the extreme end of our  
36          probability distribution. So there was something  
37          like a one-in-one-hundredth chance that we would  
38          have seen that total return, given our range of  
39          understanding of Fraser sockeye stocks. So that's  
40          the communication issue and the usefulness of the  
41          forecast is to do that to place the returns that  
42          we see in the context of what we've historically  
43          seen.

44          So 2009, we saw 1.3 million. We could place  
45          it on that range where we said 3.6 -- the range,  
46          using current probability levels, we'd say the ten  
47          percent probability level we expected 3.6, all the

1 way up to the 90 percent probability level where  
2 we expected something like 37.6 and, in fact, the  
3 run came in below the ten percent probability  
4 level at 1.3 so right away, we're getting a signal  
5 that what we're seeing is outside of our  
6 historical range of understanding.

7 And then when we started post-season looking  
8 at productivity data, you start recognizing that  
9 for a lot of stocks, the productivity was amongst  
10 the lowest on record for the time series or was  
11 the lowest for most stocks, not Harrison.  
12 Harrison was for 2009 returned at reasonable  
13 abundance, a good abundance. But that's again the  
14 nuances of the data and not all stocks'  
15 productivity was the lowest on record. So there's  
16 a lot of variation in the data.

17 So the forecasts are useful from that  
18 perspective, placing the returns in the  
19 perspective of what have we seen historically.  
20 They're also useful -- they're the best we have as  
21 a tool for pre-season and early in-season  
22 management. These models are through the  
23 retrospective analysis process are the best-  
24 performing models that we have currently available  
25 to forecast Fraser sockeye returns and they do  
26 characterize the uncertainty, as well as --  
27 characterize the uncertainty of what we might be  
28 -- expect to see given assumptions. So in  
29 previous years' forecasts, we only had the long-  
30 term average productivity tables, so our  
31 assumptions were always this is the probability  
32 distribution we expect to see given productivities  
33 are similar to long-term average. If they're  
34 outside of that, then they're going to be outside  
35 of what we've seen historically.

36 So for pre-season planning, early in-season,  
37 for run -- early in-season run size models, I know  
38 they use the pre-season forecasts as a tool to  
39 help as a starting point for what we're seeing --  
40 what we expect to see. As in-season data becomes  
41 more and more available, these pre-season  
42 forecasts start dropping off in terms of their  
43 usefulness as inputs into the model, but they're  
44 still useful from a qualitative perspective to  
45 place you on the map as to where you are.

46 And as I'd mentioned, they are amongst the  
47 best models globally, especially this past year.

1 We were using models like the Kalman filter Ricker  
2 model which are -- very few people globally would  
3 use that model. It's very current and up to speed  
4 on very recent methodology that Dr. Peterman was  
5 developing in regards to picking up recent  
6 productivity trends, so in our recent productivity  
7 table we try to stay sort of ahead with new models  
8 and new methods, so -- and then we do the  
9 retrospective analysis to pick the best models, so  
10 they are our best starting point. They're better  
11 than just pulling a number out of the air or  
12 making a rough guess as to what you think might be  
13 coming next year.

14 So those are the two benefits. And there's  
15 one more, just from a purely scientific -- from a  
16 scientific biological perspective, biologists and  
17 scientists are always playing around with models  
18 in the perspective of forecasting and  
19 understanding how it describes the current state  
20 of understanding about population dynamics for an  
21 organism. So for Fraser sockeye we have a bunch  
22 of models and these all in different ways describe  
23 our understanding of population dynamics for that  
24 model and every year we're re-evaluating our  
25 assumptions about how well we understand this  
26 animal and evolving and trying out new modelling  
27 techniques and it's not just within this world  
28 that's input into management, but scientists are  
29 developing models.

30 So you'll see in state-of-the-ocean reports  
31 published by DFO but that include scientists  
32 throughout the world -- I'd say largely U.S.,  
33 Canada, who are publishing different forecasts for  
34 different salmonids or different stocks and  
35 they're all playing around with different  
36 hypotheses for what is influencing Fraser sockeye  
37 survival. So models, in a way, are exploring  
38 hypotheses for Fraser sockeye survival. So  
39 biologically, scientifically, they're a useful  
40 tool for describing our current state of  
41 understanding of survival, exploring and adapting  
42 and evolving.

43 So those are the three key reasons why  
44 forecasts are important.

45 Q Thank you. And then just one area I wanted to  
46 cover briefly with you. Dr. Beamish of DFO Science  
47 has done work recently in the marine environment

1 in the Strait of Georgia, looking at juveniles in  
2 the Strait of Georgia. Had you or have you  
3 considered whether his work or other similar  
4 marine studies could be used in forecasting?

5 A Yes. We quantitatively have used a variety of  
6 variables in the models which I described earlier,  
7 so in the biological models we can use a variety  
8 of environmental variables and this is going to  
9 segue into your question, but the -- it sets the  
10 stage for it. Quantitatively, we tried sea  
11 surface temperature, we've tried Fraser discharge,  
12 different individual variables, and they generally  
13 haven't improved the forecast. They do little  
14 tweaks to the forecast but they don't give us the  
15 answer. They aren't the solution to explain all  
16 the variability in the stock recruitment  
17 relationship, so that we perfectly can predict  
18 Fraser sockeye using sea surface temperature. In  
19 fact, they only tweak it minorly and it only  
20 tweaks it for some stocks in some years. But we  
21 haven't found a single environmental variable.

22 And likely the reason for that is that Fraser  
23 sockeye have such a complex life history that they  
24 -- from their individual rearing lake, where  
25 they're in the gravel, there can be environmental  
26 conditions in the gravel, flood events that scour  
27 the eggs, all the way downstream during their  
28 downstream migration there can be mortality,  
29 especially as they're transitioning into the  
30 ocean, there can be mortality. They hit the  
31 Strait of Georgia, there can be mortality. They  
32 migrate fast along the continental shelf and out  
33 into the North Pacific and then they're mingling  
34 around there for another year before they return.  
35 So it's this huge massive special temporal scale  
36 on which we're trying to understand what is  
37 driving survival.

38 So in our models when we're quantitatively  
39 trying to put in environmental variables like sea  
40 surface temperature, it's only one spot and it's  
41 in their whole life history that covers freshwater  
42 all the way to marine and it's asking a lot of a  
43 sea surface temperature variable that does try to  
44 -- sea surface temperature isn't just the  
45 temperature alone, but it's often influencing  
46 different zooplankton compositions, different food  
47 quality for the fish or just the temperature



1           itself, so it is trying to integrate a number of  
2           variables into a single one. But at the same  
3           time, it probably is over-simplifying or not quite  
4           capturing the problem, because it's in time and  
5           space. You could measure sea surface temperature,  
6           but maybe you're not measuring it in the right  
7           spot at the right time, or maybe it's synthesized  
8           over a broad space, so that it's so complex to  
9           just take individual variables and look at it  
10          quantitatively. So that's why there's been a lot  
11          of challenges trying to find the one variable or a  
12          couple of variables or a composite of variables  
13          that work quantitatively. So it's a big question  
14          with Fraser sockeye.

15          Other forecasts, other -- other salmonids  
16          that have been forecast have better success with  
17          incorporating environmental variables so, for  
18          example, on the West Coast of Vancouver Island  
19          there will be Coho stocks that migrate out and  
20          they stay local on the coast of Vancouver Island,  
21          so unlike Fraser sockeye, these animals are in the  
22          freshwater, so there's that element of uncertainty  
23          in their survival, but then they're hitting the  
24          ocean and staying very local. So you can do very  
25          strategic sampling in time and space because you  
26          know where they are. You can even sample the  
27          animal because they're right off the coast and you  
28          know they're going to stay there for their whole  
29          marine distribution.

30          And I know that there are certain individuals  
31          like Dr. Ron Tanasichuk has been doing some  
32          forecasting quite successfully because he's  
33          working on stocks that you have a better handle on  
34          where they are. Their ocean distribution is a lot  
35          more localized versus Fraser sockeye that are  
36          hitting the Strait of Georgia and very rapidly,  
37          except for Harrison, that's unique again, but all  
38          the other stocks are hitting the Strait of Georgia  
39          and generally from research data from Dick Beamish  
40          and Marc Trudel, who do the high sea salmon and  
41          Marc Trudel does -- Dr. Marc Trudel does high sea  
42          salmon and Dr. Dick Beamish does the Strait of  
43          Georgia. They've been finding they migrate  
44          rapidly through the Strait of Georgia. They  
45          migrate along the continental shelf out through  
46          the Aleutians and then they're hanging out in the  
47          North Pacific. So there's -- through time and

1 space, they're covering a big geographic area, so  
2 I'm just pointing out the complexity of their life  
3 history and why those individual variables haven't  
4 worked very well.

5 So in segueing into 2009 and recognizing that  
6 individual variables aren't working well, we did  
7 look at a report card and we could refer to that  
8 now if you wanted to. It's -- it's a qualitative  
9 way of describing a range of indicators for Fraser  
10 sockeye. So rather than just looking at sea  
11 surface temperature in Entrance Island off the  
12 coast of Nanaimo, we've integrated a bunch of  
13 these different variables in a report card, which  
14 is commonly used, it's being used by the U.S.  
15 Government, as well, doing report cards on  
16 environmental variables that you think will  
17 influence sockeye or the animal that you're  
18 studying's survival.

19 So we qualitatively looked at that. I can  
20 explain it in the 2009 report on page 16.

21 Q This is in the SAR?

22 A That's in the SAR.

23 Q So that's Exhibit 340.

24 THE COMMISSIONER: Ms. Baker, I note the time. I'm not  
25 sure when you had planned to break for lunch.

26 MS. BAKER: Well, this was my very last question, so if  
27 she could finish this answer, then I'll be  
28 finished, if that's possible. It's up --  
29 obviously, we'll break if you want to break,  
30 but...

31 THE COMMISSIONER: Okay.

32 MS. BAKER: Continue?

33 THE COMMISSIONER: I don't know how long her answer's  
34 going to be, but that's fine.

35 MS. BAKER: Pardon? Okay. If you get really hungry,  
36 just...

37 Q I mean, I did want to focus on the work that Dr.  
38 Beamish is doing in the Strait of Georgia and  
39 whether that's been incorporated in.

40 A Okay. The answer I'm giving will be --

41 Q Okay.

42 A -- it would be good to --

43 Q Okay. So that you were looking --

44 A I'm giving you a bigger answer than what you've  
45 asked, if you're really focused on -- but you did  
46 frame your question as in Dick Beamish and others,  
47 so...

53  
Sue Grant  
In chief by Ms. Baker

1 Q Yes. Okay.  
2 THE COMMISSIONER: Ms. Baker, I think we -- I think we  
3 will take a lunch break now.  
4 MS. BAKER: Okay.  
5 A Okay.  
6 THE REGISTRAR: Hearing is now adjourned until 2:00  
7 p.m.

8  
9 (PROCEEDINGS ADJOURNED FOR NOON RECESS)  
10 (PROCEEDINGS RECONVENED)

11  
12 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

13  
14 MS. BAKER: Can you turn your mike on, Ms. Grant?  
15 Thanks.

16 Q So you were in the middle of answering a question  
17 about marine areas. I'd asked about Dr. Beamish's  
18 work and you were giving some background on marine  
19 impacts.

20 A So I had finished up the last pre-lunch session by  
21 describing why, quantitatively, the variables we'd  
22 been using haven't been effective to date due to  
23 the complexity of the marine survival issues for  
24 Fraser sockeye and how complex their migration is  
25 from the fresh water to the marine environment,  
26 and why, for some salmonids who remain more close  
27 off -- off the coast of -- west coast of Vancouver  
28 Island, for example, and remain local using single  
29 environmental variables. Those are a lot easier  
30 because you know where they are, they remain in a  
31 fixed area, and they don't have as broad  
32 migration. So that was from the quantitative  
33 perspective why perhaps these single invariables  
34 that we've been trying to use quantitatively  
35 haven't been helping us too much in regards to  
36 improving the forecast.

37 So in light of that, starting in 2009 -- and  
38 we'd been thinking about this for a while,  
39 particularly through engagement with scientists in  
40 the U.S. and other scientists working on salmonids  
41 that use the Pacific Ocean as a rearing ground for  
42 juvenile -- their juvenile stages. We'd been  
43 looking at this kind of red light/green light  
44 report card for qualitatively looking at  
45 environmental indicators for Fraser sockeye  
46 similar to what they do in the U.S. for some  
47 Chinook and Coho stocks in the U.S. that migrate

January 26, 2011

1 out of the Columbia. They have some good red  
2 light/green light indicators for their stocks that  
3 have been somewhat effective in their forecasting  
4 approach.

5 So we were deciding that if these single  
6 variable quantitative variables weren't going to  
7 work, we were going to go in this more qualitative  
8 realm. This will lead into your specific  
9 questions.

10 This is a table, Table 5, in the 2009 Science  
11 Advisory Report of the report card that we  
12 produced for some key environmental indices, or  
13 that we thought would influence Fraser sockeye,  
14 particularly in the marine environment. Every  
15 year DFO has annual State of the Ocean meetings  
16 and they produce research documents out of that.  
17 I believe it's a research document, not a Science  
18 Advisory Report, although I could be wrong.

19 But it's a pretty thick document where they  
20 invite scientists and people -- and biologists and  
21 oceanographers working on environmental indicators  
22 in the ocean environment to these meetings every  
23 year, and this includes scientists from both  
24 within the Department and outside of the  
25 Department. It's a very good document for  
26 summarizing ocean conditions within the Strait of  
27 Georgia and North Pacific, conditions that are --  
28 animals will be experiencing, whether it's Fraser  
29 sockeye or Chinook Coho stocks from the west coast  
30 of Vancouver Island.

31 So this table is our attempt at synthesizing  
32 and integrating some of the key indicators that we  
33 think would influence Fraser sockeye in a broader  
34 perspective than a single environmental variable,  
35 and we were using this in addition to comparing  
36 performance with single quantitative variables to  
37 help describe the state of the ocean in a  
38 particular ocean entry year.

39 So this table is organized with on the top  
40 line there's "Ocean Entry Year" is highlighted, so  
41 that's the year -- generally it's thought -- the  
42 main hypothesis in regards to marine survival is  
43 that it's early ocean survival that influences the  
44 marine survival component of Fraser -- or of  
45 animals when they enter the ocean. It's that  
46 early first part of their life history that's most  
47 important for influencing total mortality in the

1 marine environment, so we're focusing in on the  
2 ocean entry year which is two years after their  
3 brood year.

4 So two years after the parents spawn, the  
5 eggs are deposited in the gravel, they come out of  
6 the gravel, spend a year in fresh water and then  
7 migrate to the ocean. These would be the  
8 conditions experienced by fish stocks.

9 We did a lot of -- we've done a lot of work  
10 over the years working -- liaising with the State  
11 of the Ocean group that pulls together all these  
12 environmental indicators from Canada and the U.S.,  
13 scientists that pull these ocean indicators  
14 together to help explain some of the Fraser  
15 sockeye forecasts. Within that, you'll have  
16 different scientists' own forecasts. When I've  
17 described earlier the usefulness of our particular  
18 forecasts, those, in conjunction with other  
19 scientists' forecasts all are different hypotheses  
20 or different ways of exploring what factors are  
21 controlling Fraser -- or influencing Fraser  
22 sockeye survival. In the State of the Ocean, it's  
23 -- the factor is particularly focused on the  
24 marine environment.

25 THE COMMISSIONER: Perhaps you can help me with this.  
26 On Table 5, it says [as read]:

27  
28 For 2009 returns, most sockeye, age four,  
29 spawned in 2005.

30  
31 So you're talking about all of the stocks, the 19  
32 stocks?

33 A That's right. It's the summary for most sockeye.

34 THE COMMISSIONER: Okay.

35 A And given the larger age four -- since most  
36 sockeye are four-year-olds. In 2009, most of the  
37 sockeye would have come from spawners in 2005.

38 THE COMMISSIONER: But you're talking about all the 19  
39 stocks?

40 A That's right. In general.

41 THE COMMISSIONER: In general, okay. And it says:

42  
43 And migrated to the ocean in 2007.

44  
45 You're talking about all of the sockeye stocks,  
46 the 19 stocks, in general?

47 A In general, yes.

56  
Sue Grant  
In chief by Ms. Baker

1 THE COMMISSIONER: So what I'm trying to understand is  
2 that these indices or conditions that you're  
3 talking about, you're assuming that they would  
4 have impacted all of the stocks in the same way  
5 because the results -- you explained this morning  
6 just before the noon break, that there are  
7 different results for the different stocks --  
8 A Mm-hmm.  
9 THE COMMISSIONER: -- in terms of the return of four-  
10 year-old sockeye.  
11 A Mm-hmm.  
12 THE COMMISSIONER: But you're assuming here that all of  
13 these conditions would impact in the very same  
14 way?  
15 A Yes. I think this is just a tool to holistically  
16 describe if there's something extreme going on or  
17 if we're in a transitional period, it's more of a  
18 broader indicator, understanding that there'll be  
19 nuances within the stocks. There'd be no way to  
20 tease apart an individual report card necessarily  
21 for all the individual stocks, and again, this is  
22 just focused on the marine environment. So each  
23 stock will have unique environmental conditions in  
24 the freshwater environment as well. So the fresh  
25 water will also be driving --  
26 THE COMMISSIONER: So they -- I hope I get this right.  
27 So in 2007 when they migrate to the ocean, the  
28 stocks that came from the 2009 brood --  
29 A Mm-hmm.  
30 THE COMMISSIONER: -- are out there with the stocks  
31 that are going to be coming back in 2010; is that  
32 correct? There'll be three years as opposed to  
33 the four years from 2009?  
34 A Yes. They would -- there would be mingling  
35 amongst the different years.  
36 THE COMMISSIONER: Okay. So the conditions that you're  
37 considering would be impacting -- I'm just asking  
38 -- the 2009 --  
39 A Mm-hmm.  
40 THE COMMISSIONER: -- as well as the 2010 returns.  
41 A That's correct, yes.  
42 THE COMMISSIONER: Okay.  
43 A So for the case of the last -- the one that you  
44 were referring to, 2007, that led to 2009 returns.  
45 This table I'm - as you reiterated - really saying  
46 that, for most sockeye -- most sockeye are four-  
47 year-olds, most of them who returned in 2009 hit

January 26, 2011

1 the ocean in 2010. But you're correct that in  
2 2010, some of the five-year-olds from this same  
3 ocean entry period from 2007 would have  
4 experienced the same environmental conditions.

5 That links back to your earlier questions  
6 about age-proportions. When I was describing how  
7 five-year-olds -- I applied a similar mortality  
8 productivity rate to the five-year-olds in 2010 as  
9 those experienced by four-year-olds in 2009. It's  
10 for that exact reason that you just asked your  
11 question in that they all experienced the same  
12 ocean conditions. They entered the ocean the same  
13 time, the five-year-olds who returned in 2010  
14 would have also hit the ocean in 2007, similar to  
15 the four-year-olds that returned in 2009.

16 THE COMMISSIONER: Right.

17 A So they're out there at the same time.

18 THE COMMISSIONER: So if there was an extreme  
19 condition, marine condition that would have  
20 impacted the 2007 sockeye, is it not fair to  
21 assume that that would have impacted the 2010 run  
22 as well?

23 A It would impact the five-year-old component. So  
24 for -- and that's -- we did take that into  
25 consideration.

26 THE COMMISSIONER: Okay.

27 A So, yes, you're absolutely right that what  
28 happened in 2007, independent of this graph even,  
29 'cause this graph is not explaining what actually  
30 happened in 2007 because we saw really poor  
31 productivity, but that poor productivity  
32 experienced by the four-year-olds that returned in  
33 2009 is the same environmental conditions in the  
34 marine environment that the five-year-olds in 2010  
35 would have encountered.

36 THE COMMISSIONER: Okay.

37 A They comprise a much smaller component of the  
38 total, but they still would have been an influence  
39 which is why we took that into consideration.

40 So with this table, we were trying to  
41 qualitatively describe some of the key  
42 environmental variables that include some of the  
43 larger ocean indices. Some of you might have  
44 heard of things like the PDO, which is the Pacific  
45 Decadal Oscillation, which is broad indices for  
46 the North Pacific, basically describing sea  
47 surface temperature anomalies in the North

1 Pacific. If it's warmer -- if it's a warmer PDO,  
2 it's generally assumed that it's poorer conditions  
3 for salmon and Fraser sockeye.

4 Then there's a bunch of physical conditions  
5 that are more specific localized sea surface  
6 temperature, upwelling kind of indices, as well as  
7 biological conditions such as the prey  
8 availability.

9 This State of the Ocean Report really  
10 outlines this from Dr. David Mackas's work from  
11 the Institute of Ocean Sciences where he's looked  
12 at the west coast of Vancouver Island and looked  
13 at the shifting composition of zooplankton, and  
14 how, during warmer years, the warmer water  
15 copepods move up from the southern climates into  
16 our waters. These copepods tend to be larger and  
17 energetically less good than the colder water  
18 species that are typically here.

19 It's like eating -- when the warm water years  
20 hit and these warm water copepods come up, it's  
21 like eating a hamburger and French fries and coke,  
22 versus eating, in normal cold years, a salad with  
23 a well-balanced meal. So the fish in the warm  
24 years are getting this poorer food quality. David  
25 Mackas has been tracking this on the west coast of  
26 Vancouver Island so we included that as well.

27 There isn't as much copepod information in  
28 the Strait of Georgia. I know that they're  
29 working on compiling -- piece together a time  
30 series from a bunch of different sources, but for  
31 the purpose of this, all we had was the west coast  
32 of Vancouver Island.

33 So we colour-coded again similar to the  
34 forecast table where we were trying to rank these  
35 in terms of whether these environmental conditions  
36 were average, below average or above average, so  
37 green, good, good for salmon survival; red, poor;  
38 and yellow is kind of average for salmon survival.

39 I guess what I want to point out about this  
40 graph is that there's a lot of variability in  
41 terms of survival and how it actually links up,  
42 even with these broad different indices and how  
43 that top line is Chilko marine survival, just as  
44 an indices of overall marine survival for Fraser  
45 sockeye. That was the one indicator stock I  
46 mentioned earlier.

47 In 2005, all the indicators - and if you read



1 the State of the Ocean Report the DFO publishes  
2 compiled from all these scientists - ocean  
3 conditions were generally poor for survival  
4 conditions and 2007 was actually a poor year for  
5 marine survival for Chilko as well as for  
6 productivity amongst stocks. So we kind of  
7 thought we were onto a somewhat right track  
8 because indicators were lining up somewhat telling  
9 us things were bad in 2005, and they really were  
10 bad.

11 In 2006, we started seeing a transition.  
12 When we went to the State of the Ocean meeting, we  
13 got all this information that ocean conditions  
14 were improving, we're seeing more transitional.  
15 However, we were still recommending more  
16 conservative probability levels on the forecast  
17 given it being transitional. It's unclear which  
18 indices are driving it, but we were transitioning.  
19 We did also see, in 2006, an improvement in Chilko  
20 marine survival, so we were seeing this turn-  
21 around in 2006 of improving marine survival  
22 conditions.

23 Then we went to the 2007 State of the Ocean,  
24 and from most indicators now, it was like  
25 intermediate in terms of some of the conditions,  
26 or really good. Of course, there's always, like,  
27 exceptions where certain things retrospectively  
28 you can look back and go, oh, that was saying  
29 things weren't great. But when you look at it  
30 holistically, the general message from that  
31 meeting was things were looking pretty good in  
32 2007.

33 So we were thinking, going into the 2009  
34 return year, that things were good. There are --  
35 so a lot of this is extracted from the State of  
36 the Ocean Report. There's other individuals -- as  
37 I'd mentioned earlier the value of forecasting is  
38 playing around with -- exploring different  
39 hypotheses for what is driving survival for Fraser  
40 sockeye. We do that within our own forecasting  
41 process. It's part of that exploration.

42 But Dick Beamish, Dr. Beamish, as well as  
43 Skip McKennall, Dr. Jim Irvine, all these other  
44 scientists are also exploring different hypotheses  
45 for survival. At the time of the 2008/9  
46 forecasts, I know Dr. Beamish's work was in very  
47 preliminary stages. He was focused on September

1 catch-per-unit effort when you look at the State  
2 of the Ocean Report, and he recognized in later  
3 State of the Ocean Reports that those were --  
4 September CPUE after he did some DNA analysis,  
5 realized that all those fish that he was sampling  
6 in September were Harrison sockeye, which Harrison  
7 have so many unique things about them. They're  
8 doing very unique things in terms of their life  
9 history in terms of their survival. They're  
10 improving in survival whereas all the other stocks  
11 are going down.

12 So at the time of the 2009 forecast, I know  
13 certain hypotheses are -- certain pieces of  
14 hypothesis development were in the preliminary  
15 stages, so for certain scientists, such as Dick  
16 Beamish, his stuff was very early. It wasn't  
17 until later on that he started getting the DNA  
18 back and realizing that he wasn't even using the  
19 right time period from his surveys. He was --  
20 September CPUE to try to forecast total sockeye.  
21 So he made a statement in the State of the Ocean  
22 Report from the 2007 -- '06 or '07 State of the  
23 Ocean Report about conditions and what they  
24 expected, but it was a work in progress and it's  
25 being developed.

26 So we did explore his work amongst all the  
27 other environmental variables that were being  
28 considered, but recognized that it was a work in  
29 progress. It hadn't actually produced the right  
30 forecast for 2008, so it wasn't a hypothesis that  
31 we were going to move forward on and place a great  
32 weight of evidence on in moving into 2009, when  
33 the bulk of the evidence suggested that indicators  
34 were good. All these scientists are working and  
35 developing their hypotheses further and it's a  
36 work in progress. But we definitely every year  
37 explore environmental indicators quite  
38 extensively.

39 MS. BAKER: Thank you. I have no other questions for  
40 Mr. Grant, but I know that Canada has some  
41 questions. Should we move to Canada or did you  
42 want to follow-up on anything with the witness  
43 before we do that?

44 THE COMMISSIONER: No, that's fine. Thank you, Ms.  
45 Baker.

46 MR. TAYLOR: Mitchell Taylor, Mr. Commissioner. In my  
47 questions, for Mr. Lunn's benefit, I expect to

1 refer only to Exhibit 340 which is the 2009  
2 forecast, and Exhibit PPR-5 which is the Harvest  
3 Management Practice and Policy paper.  
4

5 CROSS-EXAMINATION BY MR. TAYLOR:  
6

7 Q Ms. Grant, in answering the question that the  
8 Commissioner posed to you about mid-morning today,  
9 you referred to -- I think I heard you say 95  
10 percent of the returns in a given year would be  
11 the four-year-olds, and I think I heard you say at  
12 another point, 85 percent, and then at one point  
13 you referred to 20 percent five-year-olds in a  
14 given year. Can you just explain or elaborate on  
15 is there a number, is there a range, or which of  
16 those numbers would be the four versus five ratio  
17 on average?

18 A Yes. For clarification, there is a range, so I  
19 don't have the exact range in front of me, but it  
20 would be pretty small, and it probably would range  
21 from 80 to 95 percent or 99 percent even, so the  
22 key message I was trying to get across was more  
23 they make up -- the four-year-old component makes  
24 up a significant component of the run. I was not  
25 recollecting the same every time I mentioned it,  
26 but it was -- what I was trying to get across was  
27 that it was -- it makes up a range from probably  
28 what I just described.

29 Q All right.

30 A A pretty large component with exceptions -- for  
31 example, Pitt -- Pitt sockeye is one exception  
32 where the five-year-olds make up much larger  
33 component than that. But I was trying to describe  
34 just a general range and wasn't being consistent.

35 Q All right. Thank you. And the large percentage  
36 you're referring to is the four years (sic), I  
37 take it?

38 A That's correct.

39 Q In that same area of your evidence, or picking up  
40 on that, will DFO know with regard to the 2010  
41 returns what percentage or roughly what percentage  
42 were five-year-olds or the ratio between four and  
43 five?

44 A DFO does have preliminary return results for  
45 Fraser sockeye by stock. I can't speak to  
46 specifics. I wouldn't recollect it all perfectly,  
47 but there were no surprises in the returns in

1 terms of age composition, so we didn't see, in the  
2 2010 returns any anomalies in regards to having a  
3 greater than normal age five proportion in the  
4 return distribution.  
5 Q You also mentioned in that same area of your  
6 evidence pink years. Just for clarity, can you  
7 explain what years are pink return years and what  
8 years are pink out-migration years?  
9 A Pink return years are odd years for the Fraser  
10 system.  
11 Q And outgoing?  
12 A And it would be even years for outgoing, so they  
13 would spawn and the fry would emerge from the  
14 gravel and they would migrate to the ocean in even  
15 years.  
16 Q Thank you. Now, is there something you can point  
17 to, to link or tie the 19 stocks that are  
18 forecasted as against the conservation units that  
19 exist for Fraser sockeye?  
20 A Yes. In the 2009 report --  
21 Q The Forecast Report?  
22 A The Forecast Report, I believe.  
23 Q Which is Exhibit 340.  
24 A Table 1 and 2 in that report.  
25 Q On page 6 and 7. And if you could just explain  
26 what this is telling you or how you see a relation  
27 or what is the tie?  
28 A Okay. Holtby and Ciruna in 2007 published a  
29 first-cut at the conservation units for all  
30 Pacific Region salmonid stocks that -- and in this  
31 table, in the forecast table, in light of the Wild  
32 Salmon Policy and moving forward into the future,  
33 we wanted to align the stocks that we forecast, so  
34 the 19 forecasted stocks including the  
35 miscellaneous stocks that we forecast, and link  
36 them to the CUs from the Holtby and Ciruna paper.  
37 So what we did in the second column of Table  
38 1 is list, next to every stock, the numbers that  
39 are associated with the conservation units that  
40 are listed on Table 2. So we'll use Bowron for an  
41 example, the first stock in Early Summer. Bowron  
42 has, in the CU list in Table 1, the number 3. And  
43 then when you go to Table 2, that Bowron stock is  
44 associated with the Bowron Early Summer  
45 conservation unit. So we're just lining up what  
46 stocks go with what conservation units. In some  
47 cases you can see, like for the example of Bowron,

1 that the stock lines up exactly with the  
2 conservation unit. So they're the same thing.  
3 They're looking at the same thing.

4 Other ones such as Fennell and Raft are North  
5 Thompson stocks, and Fennell and Raft together add  
6 up to the Kamloops Early Summer conservation unit,  
7 so that's an example of where two different stocks  
8 in our forecast table are equivalent to one CU, so  
9 it's a little different.

10 Then there's other CUs such as -- I'll just  
11 pick another one, like Chilko, for example, in the  
12 Summer run, so the first stock in the Summer run  
13 timing group. On Table 1, they include CUs 13 and  
14 14. So they're an example of a CU that -- a stock  
15 in the forecast table that's associated with two  
16 CUs, so they include Chilko Early Summer and  
17 Chilko Summer as a conservation unit.

18 So just to summarize, there are some cases  
19 where there's perfect correlation between the  
20 stock and the conservation unit. Other cases  
21 where two stocks amount to one CU, and other cases  
22 where two CUs equal one stock.

23 Q All right. Is that sort of information or tie in  
24 the 2010 forecast?

25 A We don't include it in the 2010 forecast. We are  
26 -- there is a work in progress, a paper that's  
27 being published, and we're in the process of  
28 working through conservation units and so we  
29 haven't included an update in the 2010 forecast.

30 Q Do you know if it'll be in the 2011?

31 A The 2011 forecast, that's what I meant.

32 Q It's not in it?

33 A No.

34 Q All right. Now, I'd like to ask you a couple of  
35 questions about a document that's referred to as a  
36 Policy Practice Report. It's Policy and Practice  
37 Report number 5. That's coming up on the screen,  
38 and if we go to page 81 of that document, and  
39 specifically paragraph 212. I have a question for  
40 you.

41 You'll see under "a.", it says -- well, I'll  
42 read all of it, but:

43  
44 Key to pre-season planning are:

- 45  
46 a. Pre-season forecast for each run timing  
47 aggregate.

1 Do you have anything that you want to say about  
2 that statement?  
3 A Sorry, Mitch, can you repeat what -- are you  
4 onto --  
5 Q Number "a." there.  
6 A Oh, "a.", yes, okay.  
7 Q Is that accurate --  
8 A Yes.  
9 Q -- or is there anything that you'd like to say?  
10 A The only clarification we would -- or I would ask  
11 is that for pre-season planning, it would be  
12 clarification on whether these -- I would assume  
13 that pre-season forecasts would include our  
14 abundance forecasts that I'm involved with as well  
15 as the diversion and run-timing forecasts that  
16 were the responsibility of another DFO employee,  
17 but those three kinds of forecasts would be  
18 included. So it might be just requiring  
19 clarification on whether that wording encompasses  
20 the three different kinds of pre-season forecasts.  
21 Q So that would be diversion, run-timing and  
22 abundance?  
23 A Yes.  
24 Q Then if you go to a couple of pages over to  
25 paragraph 225, and I'll give you a moment to read  
26 it if you like, but if you could have a look at  
27 that and tell the Commissioner whether you have  
28 anything to say about what's stated in that  
29 paragraph.  
30 A Yes. This paragraph would -- if reworded, would  
31 capture the changes in methodology more  
32 appropriately. As written, it's a little unclear  
33 that the changes made to the methodology don't  
34 apply to all three productivity scenarios. So I  
35 would recommend a change that would involve saying  
36 something like for the 2010 forecast, it included  
37 three -- so you would pull out the presentation of  
38 the forecast as three different productivity-based  
39 results and three different tables. We'd probably  
40 change the wording of that to the presentation of  
41 three different forecast tables using three  
42 different assumptions of sockeye productivity, and  
43 not turn that into a number 2, but switch it into  
44 -- significant changes include that statement, as  
45 I'd worded it, and then a period, and the -- the  
46 long-term average productivity table, the first  
47 case, was identical to methodology we've used in

1 the past.

2 Changes were made to the methodology  
3 specifically for the long -- recent productivity  
4 case 2, and productivity like the 2005 brood year,  
5 case 3. So those were the only two cases where  
6 methodological changes were made. So it's --

7 Q So it's all as you described earlier this morning.

8 A It is. So it's just a little more complicated  
9 than it is -- or not complicated, but it just  
10 needs to be switched around so that it -- this  
11 sounds like changes were made to every forecast  
12 scenario.

13 Q All right. Okay. Anything else about that  
14 paragraph that you want to pick up on?

15 A Well, I would be specific that the retrospective  
16 analysis conducted over the last eight years was  
17 specific to the recent productivity forecast  
18 table, and the same with the use of models like  
19 the common filter, and I would say use of models  
20 like the Kalman filter, Ricker model, if we're  
21 using an example. And again, that's specific to  
22 the recent productivity forecast table.

23 For both the recent productivity forecast  
24 table and the productivity like 2005, the last  
25 point applies to both of those.

26 Q All right. Can you briefly describe the  
27 collaboration that accompanies the work that you  
28 do in forecasting?

29 A Yes. We, over the years, have done significant  
30 collaboration with our colleagues within the  
31 Department of Fisheries and Oceans, so, for  
32 example, Al Cass -- Mr. Al Cass is foundational to  
33 the forecasting process, and we've -- we work as a  
34 team in collaboration with other people with  
35 similar expertise within the departments, so we  
36 would collaborate significantly with individuals  
37 like Al Cass who has a legacy of forecasting and  
38 is foundational to the forecasting process.

39 We would also engage other individuals within  
40 the Department who have expertise. We collaborate  
41 also outside of the Department with individuals  
42 who have expertise in forecasting and Fraser  
43 sockeye, so, for example, the Pacific Salmon  
44 Commission has been extremely helpful in the  
45 forecasting process from Mike Lapointe's input  
46 over the years on just his incredible  
47 understanding of the animal and the brood year

1 escapements, returns. He understands the data.  
2 He always is extremely helpful and we collaborate  
3 extensively throughout the forecasting process  
4 with Mike Lapointe.

5 Also Dr. Catherine Michielsens we have also  
6 collaborated extensively with. She's a Bayesian  
7 statistical expert and has provided us with lots  
8 of advice and assistance in the forecasting  
9 approach. She is a lead author on the 2010  
10 Forecast Paper and assisted with the 2009  
11 forecast.

12 We've also engaged Dr. Randall Peterman with  
13 forecasting approaches, trying to stay on the  
14 cutting edge of models that are available. So I  
15 worked with Dr. Randall Peterman taking one of his  
16 courses on risk assessment, as well as working  
17 with him directly on the forecasts. We did a lot  
18 of collaboration when it came to using the Kalman  
19 filter, Ricker model, which was one of his  
20 forecasts that looks at shifts in productivity  
21 over time versus just looking at average  
22 productivity. So we've collaborated with him  
23 there.

24 Dr. Randall Peterman was also a reviewer of  
25 our 2010 forecast paper, and agreed with the  
26 methodology and felt that we were using cutting  
27 edge methodology that's available in the field.

28 We also -- I mean, the collaborations go on  
29 and on 'cause I've already talked about the  
30 environmental conditions where we've collaborated  
31 extensively or engaged scientists on ocean  
32 conditions, freshwater conditions, as well as our  
33 operational programs. Within my division in Stock  
34 Assessment, I'm the analytical arm whereas we have  
35 a Sockeye Operational Group as well. We would  
36 engage extensively on them on the data, issues  
37 like that. So there's a lot of collaboration when  
38 it comes to the forecast.

39 Q All right. Thank you. Now, bearing in mind the  
40 uncertainties and variables and all of what you've  
41 said in your evidence so far, can you say in your  
42 assessment how good is the forecasting that's done  
43 for Fraser sockeye using the processes and  
44 methodology you've described?

45 A Relative -- in the world of forecasting, I think  
46 through, again, Dr. Randall Peterman's reviews and  
47 others reviewing our methodology, our methodology



Sue Grant

Cross-exam by Mr. Taylor (CAN)

Cross-exam by Mr. Leadem (CONSER)

1 that we use for Fraser sockeye is at the -- it's  
2 using the best available tools that are available  
3 to us for the world of Fraser -- for sockeye --  
4 forecasting salmonid stocks. Not only that, we're  
5 even on the cutting edge by incorporating models  
6 like the Kalman filter, Ricker model, that had  
7 been recently introduced by Dr. Peterman, by  
8 incorporating time-varying productivity parameters  
9 within our models.

10 So I think it would be generally accepted  
11 that the modelling approaches we've used, and  
12 Randall Peterman would agree based on his comments  
13 at the review of our 2010 research document, that  
14 our methodology used is very good -- like it's at  
15 the cutting edge of what is available in the  
16 scientific community.

17 Q All right. Thank you. Is there anything else by  
18 way of information or points that you think are  
19 important for you to make about forecasting for  
20 the Commissioner or to the Commissioner other than  
21 -- beyond what you've already testified to?

22 A I'm just going to think for a moment.

23 Q Okay.

24 A I think we've covered the key points. There's  
25 nothing.

26 MR. TAYLOR: Thank you. Those are my questions.

27 MS. BAKER: Thank you, Mr. Commissioner. I believe the  
28 next up is Mr. Leadem for the Conservation  
29 Coalition.

30 MR. LEADEM: Leadem, initial T., appearing as counsel  
31 for the Conservation Coalition.

32  
33 CROSS-EXAMINATION BY MR. LEADEM:

34  
35 Q I want to begin by thanking you, Ms. Grant,  
36 because before you gave your evidence, a lot of  
37 forecasting was incomprehensible to me, and I've  
38 gained some understanding. I can't pretend that I  
39 understand Bayesian probabilities, nor do I think  
40 I ever will, but at least I have some appreciation  
41 for what it is that you do, so I thank you for  
42 coming.

43 I want to reflect on the Wild Salmon Policy  
44 and some of the work that you've done. You  
45 alluded to a paper that's presently in the works,  
46 and I wonder if we can just take a quick look at  
47 Exhibit 184, Mr. Lunn, please.

- 1                   Are you the same S.C.H. Grant as author --  
2                   main author on this paper?
- 3           A        Yes.
- 4           Q        And my understanding is that this particular paper  
5                   which deals with benchmarks for Fraser River  
6                   sockeye conservation units was reviewed last fall,  
7                   was it?
- 8           A        It was reviewed in the spring of this past year, I  
9                   believe. Yeah, this past spring.
- 10          Q        Okay. It went through the CSAP process, did it?
- 11          A        Yes, it went through the CSAP. I'm just switching  
12                   gears mentally now from forecasting.
- 13          Q        All right. I'll give you a moment to reflect on  
14                   it, because --
- 15          A        Yeah, just --
- 16          Q        -- my information is that this went through the  
17                   CSAP process sometime in November of 2010.
- 18          A        Yeah, I'm mind-blanking on when -- when we -- when  
19                   it went through the CSAP process, but it did go  
20                   through the formal CSAP process and it's a  
21                   research document similar to the 2010 Forecast  
22                   Paper in the type of document that it is.
- 23          Q        And my understanding is that the paper is  
24                   presently under review. I just wanted to get an  
25                   updated status on it.
- 26          A        Yes. This draft, this exhibit draft that you have  
27                   is prior to the CSAP process, so the Science  
28                   Advice Process within DFO, and it was a day -- it  
29                   was a two-day CSAP process, so this paper was what  
30                   all the formal reviewers that included, again, Dr.  
31                   Randall Peterman, Mr. Mike Staley and a third  
32                   reviewer as well. So there was three formal  
33                   reviewers as well as the CSAP Salmon Subcommittee,  
34                   which included Dr. Carl Walters being present, Dr.  
35                   Catherine Michielsens and a room full of technical  
36                   experts.
- 37                   So this paper is what all those reviewers,  
38                   the formal ones and the people present in the room  
39                   would have seen. But coming out of that meeting  
40                   are recommendations from the formal reviewers as  
41                   well as from the CSAP process, and it does not  
42                   encapsulate any of that at this point in time. So  
43                   there will be changes made to the methodology, our  
44                   approaches, and this will be published in the  
45                   spring of this year.
- 46          Q        All right. That answers my question. I just  
47                   simply wanted an update on it.

1 A Okay. Okay.

2 Q Earlier today, you gave evidence about the  
3 forecasting and about incorporating environmental  
4 variables within your forecasting, and you -- I  
5 think you listed a couple of them. One was sea  
6 surface temperature, another one was Fraser River  
7 flow. I was wondering if you would also give some  
8 consideration to incorporating water temperature  
9 in the Fraser as an environmental variable in  
10 forecasting.

11 The reason I asked that is that last week we  
12 heard from Mr. Lapointe who gave evidence and  
13 highlighted that environmental variable as a key  
14 factor in survivability of the fish as they're  
15 migrating upstream. Would that be something that  
16 you would want to consider as an environmental  
17 variable? Can you factor that into your modelling  
18 exercises?

19 A Yes, we could factor that variable into the  
20 modelling exercises. One of the challenges with  
21 incorporating just that single variable is that  
22 when you consider the life history of Fraser  
23 sockeye, in fact, a lot of the mortality -- the  
24 bulk of the mortality occurs probably from the egg  
25 stage when you consider billions of eggs are laid.  
26 From the time they emerge from the gravel, a lot  
27 of mortality occurs in that stage.

28 A lot of mortality is thought to occur -- one  
29 of the key hypotheses for survival of salmonids is  
30 that -- or fish, in general, is generally they're  
31 most vulnerable when they're smallest and  
32 youngest, so they're more vulnerable to mortality  
33 mechanisms like predation and starvation. It's  
34 also thought -- so in the freshwater environment,  
35 it would be a lot of mortality occurring early on  
36 in the freshwater environment, as well as that  
37 transition into the marine environment.

38 It's thought that the bulk of the mortality  
39 -- this is a hypothesis -- that a lot of the  
40 mortality would occur early on, because when they  
41 hit the marine environment, they're their smallest  
42 and they're more vulnerable to predation because  
43 they're not able to swim as fast. The bigger you  
44 are, the faster you can swim. Also to tolerate  
45 periods of less food availability, if you're  
46 bigger, you have greater energy stored. So  
47 usually it's thought that early on, when you first

1 hit the ocean, you're most vulnerable to  
2 mortality.

3 So part of the downstream migration, there  
4 could be considerable mortality as they're  
5 migrating down as juveniles as well as when they  
6 first hit the ocean, the Strait of Georgia early  
7 on along their migration, along the Continental  
8 Shelf.

9 So getting to your question, it's thought  
10 that most of the mortality - and when we cue in on  
11 mortality mechanisms and environmental variables,  
12 we're cued in on variables that would be drivers  
13 of that early marine ocean entry or downstream  
14 migration elements.

15 The variable that you're describing,  
16 definitely we know through work of -- you're going  
17 to hear from David Patterson and others working on  
18 environmental conditions and how they influence  
19 returning salmon and influence mortality of the  
20 returning salmon. They can play a big role in  
21 mortality, but in the grand scheme of the sockeye  
22 life cycle, it's generally thought that it's this  
23 early ocean entry period or juvenile period in the  
24 fresh water that's driving recruitment variation.

25 So it's a part of the puzzle. But using it,  
26 again, as a single environmental variable probably  
27 would explain very little of the total variability  
28 in salmon survival.

29 Q That's helpful. Thank you.

30 A Okay.

31 Q I want to end up by contrasting the 2009 return  
32 and the 2010 return, because those were the two  
33 returns that you spoke most in terms of your  
34 evidence. Do I have it right that the 2010  
35 return, you can describe it as being a bonanza,  
36 but mostly due to the Late Shuswap, the great runs  
37 of the Late Shuswap that we saw last year; is that  
38 right?

39 A Yes. I would characterize it -- I don't have,  
40 again, all the preliminary data in front of me and  
41 it's not an exhibit and it is preliminary. But  
42 you are correct that preliminary returns are  
43 suggesting that the drivers of the abundance in  
44 the 2010 returns were the Late Shuswap which is  
45 comprised -- like the big part of that run is the  
46 Adams run as well as -- even the Early Summers,  
47 the Scotch Seymour component, which are Shuswap-

1 rearing fish as well. So it appeared that the  
2 Shuswap-rearing fish, both in the early Summertime  
3 component and the Late time component did pretty  
4 well.

5 Of course it was Late Shuswap that was the  
6 bulk of the abundance in 2010, and it was also the  
7 stock that -- we haven't seen persistent declines  
8 in productivity on their time series, unlike other  
9 stocks that have been declining. Like Shuswap has  
10 been kind of stable in terms of its productivity.

11 So in terms of our recent productivity  
12 forecast, it actually wasn't too different for  
13 Late Shuswap than the long-term average, because  
14 productivity hasn't systematically declined for  
15 Late Shuswap.

16 Having said that, even so, like Shuswap, when  
17 you place it on the map of the long-term average  
18 forecast table, it's still falling out at the high  
19 end of the probability distribution, so it's -- on  
20 top of it not having exhibited any declines in  
21 2010 in productivity, it appears to have exhibited  
22 increased productivity in the 2010 returns. So no  
23 doubt that Late Shuswap was driving those returns.

24 Q But that same abundance pattern, you did not see  
25 emerge with other stocks or other conservation  
26 units. I mean, those conservation units - and I  
27 know the results are still preliminary - but those  
28 conservation units, such as Cultus, and some of  
29 the other conservation units, they still remain  
30 flat or in decline; is that right?

31 A No, that is incorrect. Again, I don't have all  
32 the data in front of me, but I know that for a lot  
33 of the other stocks in 2010, there's a few that if  
34 you place them on the long-term average  
35 productivity -- they did better than recent  
36 productivity, so we -- we had put that forward as  
37 the most -- the greatest weight of evidence was  
38 the recent productivity, second case. A lot of  
39 the stocks we switched over, if you want to  
40 compare them, you switch over to how they compare  
41 to the long term time series.

42 Late Shuswap was extremely on the high end of  
43 the probability distribution, so I suggest their  
44 productivity is really good. But a lot of the  
45 other ones were still showing average, above  
46 average productivities. And then there was  
47 several showing below average. So Early Stuart is

Sue Grant

Cross-exam by Mr. Leadem (CONSER)

Cross-exam by Ms. Gaertner (FNC)

1           one example of one that was -- I believe the  
2           return was in the 100,000 range, so it was  
3           slightly below the long-term average.

4           So there was nuances amongst the stocks in  
5           terms of how they were doing. Cultus was one that  
6           actually didn't do -- it did okay this year. It  
7           was a good return, I know, back to the fence. We  
8           were seeing something like 10,000 fish, so it was  
9           on -- it wasn't -- productivity was not as bad as  
10          the recent productivity we've seen, even for  
11          Cultus.

12         Q    But going now to 2009, that was, as you say, an  
13             anomaly because we saw most of the stocks, with  
14             the exception of the Harrison and potentially some  
15             of the Late Shuswap showing a very marked decline;  
16             is that fair?

17         A    Yes. In 2009, we saw a more consistent signal of  
18             below-average productivity across all stocks  
19             except for Harrison, in that return year. In the  
20             2009 return year, Harrison was one of the  
21             exceptions.

22             Of course, there's variability in terms of  
23             whether it was the lowest. For most stocks it was  
24             amongst the lowest productivity we'd seen on the  
25             time series, but there was variation amongst the  
26             stocks.

27         MR. LEADEM: Thank you. Those are my questions.

28         MS. BAKER: Mr. Commissioner, the only other counsel to  
29             ask questions would be Brenda Gaertner.

30         MS. GAERTNER: Mr. Commissioner, I only have a few  
31             questions of this witness, and I share the  
32             gratitude that was expressed earlier by Mr.  
33             Leadem.

34  
35         CROSS-EXAMINATION BY MS. GAERTNER:

36  
37         Q    Could we turn to Exhibit 340? I just want to pick  
38             up on the transition from the way the forecasting  
39             has been done over the 19 stocks and the way we're  
40             moving into the conservation units. I noticed  
41             from the evidence that you gave at Table 1 on page  
42             6 of the actual document, I noticed when I looked  
43             at the comparison of the 19 stocks, and then I  
44             looked at the conservation units, that the  
45             predominant aggregate that -- bear with me as I  
46             use layman's terms -- that could be dis-aggregated  
47             is the Summer runs. Is that -- is that a fair

- 1 observation? It looks like the group of Summer  
2 runs are the ones that have the most groupings of  
3 the conservation units. Have I read that right?
- 4 A Yes, they would -- based on what you're saying,  
5 that is correct. They have multiple conservation  
6 units within them, more so -- like that run timing  
7 group would have more multiple conservation units  
8 within an individual stock than the other -- than,  
9 generally speaking, than the other run timing  
10 groups.
- 11 Q And so the work, in terms of moving from the 19  
12 stocks into the conservation units, whatever  
13 number we end up with, could well be served to  
14 start focusing on the Summer runs. If we started  
15 to -- if we had to prioritize where we could get the  
16 best bang for our buck in terms of dis-aggregation  
17 -- getting more information about the conservation  
18 units, beginning to gather more information over  
19 time in terms of conservation units, that if we  
20 began to focus, particularly in the aggregate of  
21 the Summer, that that would be a useful thing?
- 22 A I think for clarification, you're -- just because  
23 the conservation units are aggregated with a  
24 particular stock doesn't mean we don't have -- oh,  
25 maybe that's what you do mean. Dis-aggregating  
26 the recruitment time series.
- 27 Q That's right.
- 28 A Well, I know a holistic -- like an answer to your  
29 question is that that is definitely, from my  
30 understanding, what we're working towards. The  
31 Pacific Salmon Commission is responsible for  
32 creating the stock recruit time series, pulling  
33 together all the data from DFO's escapement work  
34 as well as catch work. I know that that's  
35 something that the Pacific Salmon Commission was  
36 working towards, the possibility of being able to,  
37 as you put it, dis-aggregate the stock recruit  
38 time series so that you could look at individual  
39 conservation units. But that's a work in  
40 progress.
- 41 Q Great. All right. So I have read that chart  
42 somewhat accurately. Perhaps my next question  
43 could just flow from that 'cause I am curious on  
44 how we can begin to do the work of moving from the  
45 19 stocks into the conservation units. I'm  
46 wondering if I've heard your evidence correctly  
47 today, is that we could -- you could begin to

1           develop forecasting models for those conservation  
2           units. You're lacking the long-term numbers for  
3           that, so you're lacking long-term escapement  
4           numbers for some of those conservation units, but  
5           you could begin to develop, relatively soon, the  
6           more recent numbers on those conservation units;  
7           is that correct?

8           A    I would characterize that somewhat differently.  
9           The Wild Salmon Policy -- I call it the Wild  
10          Salmon Policy toolkit that Holt et al had  
11          published in 2009 -- I believe, describes a number  
12          of tools that can be used for Wild Salmon Policy  
13          stock status work. Within that toolkit were  
14          things like trends over time, so escapement trends  
15          over time as a tool for assessing status for a lot  
16          of these conservation units.

17          So, for example, Late Stuart has Takla/  
18          Trembleur, Summer and Stuart Summer as two  
19          separate CUs incorporated into it. I'm just going  
20          to cross-check this. Yeah, so it's 15/16, Stuart  
21          Summer and Takla/Trembleur Summer. Our escapement  
22          time series does dis-aggregate, like we enumerate  
23          our spawning ground assessments so that we have  
24          separate estimates for Takla/Trembleur and the  
25          Stuart Summer. So those two CUs, we could do  
26          stock status work on the CUs independently using  
27          different metrics.

28          Q    So you could actually provide the forecasting on  
29          those two already.

30          A    What I'm saying, the Wild Salmon Policy tools --

31          Q    Not the benchmarks on it. So let's stick to -- if  
32          I'm confusing things, please let me know --

33          A    Okay.

34          Q    -- but if -- when it comes to just the forecasting  
35          work that you're doing, do you have --

36          A    Oh, okay.

37          Q    -- the forecasting tools to give us forecasts for  
38          both the Late -- for both of the conservation  
39          units in the Late Stuarts?

40          A    Well, on one hand, we would, for some of the CUs,  
41          because we could use what we're calling non-  
42          parametric models, so you could use -- because we  
43          can split out for Late Stuart, as an example, the  
44          brood year escapements into the two conservation  
45          units. You could use the two different brood year  
46          escapements for the two different conservation  
47          units multiplied by recruits per spawner, time



1 series average or -- you could look at variance of  
2 that kind of model because we can separate for a  
3 few of these CUs the escapement time series.

4 We wouldn't necessarily at this exact point  
5 in time be able to use all the biological models,  
6 depending on where we're at for separating out the  
7 recruitment time series, so where our spawning  
8 ground assessments do provide fine enough  
9 resolutions to separate into individual CUs, it's  
10 our recruitment information, which is the catch  
11 component of escapement plus catch, so the  
12 escapement part we could partition. But the  
13 recruitment part, which is partitioning catch into  
14 the separate CUs, would be an ongoing -- it's part  
15 of an ongoing process, and it hasn't been -- I'm  
16 not sure where we're at with that, but it's not  
17 something, at present, we'd be able to do. It's a  
18 work in progress.

19 But there would be certain models we could  
20 use by CU.

21 Q I somewhat think it would be unfair for me to ask  
22 you which of these you could do. Which could you  
23 do a forecasting model right now?

24 A Well, the challenge with answering that question  
25 would be that this is -- this CU list is from  
26 Holtby and Ciruna's 2007 paper, and we're in the  
27 process of updating that current list. So these  
28 CUs wouldn't necessarily be the final CUs. That's  
29 a work in progress as well that we'd be finalizing  
30 with the April report.

31 So it would have to probably wait until we  
32 had all the final CUs to put into that table,  
33 because I -- there would be a lot of -- not a lot,  
34 but there'd be changes to what you see here. So  
35 to go through one by one could be -- it might be  
36 misleading, given that the conservation unit isn't  
37 finalized.

38 Q Okay. I'll move on, and not press that point with  
39 you at this time.

40 I'm curious. The chart that you called the  
41 report card, short Table 5 of this same document  
42 at page 15, I don't see it in the 2010.

43 A Oh.

44 Q Is there a reason for that? Did I miss it?

45 A No, you didn't miss it. The reason we didn't  
46 include it in 2010, we're still tracking the state  
47 of the ocean environmental conditions, staying in

1 the loop on what's going on environmentally. But  
2 given the indicators that we had selected had not  
3 captured the survival conditions that we saw in  
4 2010, being that -- or, no, I should go back to  
5 the 2009 return year.

6 Because this suite of environmental variables  
7 had indicated to us that the environmental  
8 conditions were good, so if you look at that last  
9 circled column on this chart, that was the 2009  
10 returns for most of the sockeye that returned in  
11 2009 as four-year-olds. All those environmental  
12 indicators that we had selected, and from the  
13 State of the Ocean report, had broadly said -- or  
14 indicated that ocean conditions were good. IN  
15 fact, the returns in 2009, as we all know, were  
16 amongst the lowest productivity on record.

17 So whether these aren't capturing either the  
18 environmental conditions in the ocean or we're  
19 missing something in the freshwater environment  
20 early on, we felt it wasn't informative given it  
21 was disconnected with what actually occurred in  
22 2009, so we decided not to publish again in 2010  
23 the state -- this information, and instead  
24 reference State of the Ocean Reports, but not  
25 specifically provide this, given it disconnected  
26 for 2009.

27 Q Okay. That's helpful, thank you. I take it from  
28 the evidence you've provided us so far that it's  
29 your thinking that taking any one particular  
30 environmental variable is not helpful in  
31 forecasting, and that there -- so far. So far  
32 it's not helpful.

33 I want to turn your mind to the issue of  
34 cumulative impacts which is sort of the opposite  
35 way of saying that, that there's a lot of impacts  
36 along the way, a lot of impacts in addition to  
37 global temperatures, which is what I take to be  
38 the primary indicators that are being used right  
39 now, temperature for water -- or water temperature  
40 or water flow as a result of icepack melting.

41 So there are a lot of other cumulative  
42 impacts. Just take urbanization at the mouth of  
43 the river, for example. Are there models that are  
44 being developed or considered, either in British  
45 Columbia or in the world, that you're aware of,  
46 that would help us to begin to include in any of  
47 the forecasting, anything that we're doing, these

- 1 cumulative impacts that salmon are responsive to?  
2 A There -- I'm sure there are. I'm not  
3 necessarily --  
4 Q You're not aware of any of the cumulative impact  
5 models?  
6 A I can't speak to any specifically, so, no.  
7 Q Okay. I was hoping you could turn our minds to  
8 certain ones that might be helpful to us.  
9 All right. Then the last area of questions I  
10 have is just around the whole issue of  
11 communication and uncertainty and I thought your  
12 evidence this morning to be particularly helpful,  
13 especially the expression a lot of people focus or  
14 fixate on a number.  
15 A Mm-hmm.  
16 Q So I have -- given the broad range of users of  
17 things like the CSAS paper, the public, the  
18 managers and the harvesters, do you have any  
19 recommendations on how we can communicate better  
20 the purpose of forecasting and what you're doing  
21 here and - it's a twofold question - and the  
22 implications of those uncertainties to those that  
23 are reading them?  
24 A I think that's -- I mean, communicating  
25 uncertainty and communicating the forecast is  
26 definitely something we're constantly working on  
27 and playing around with, so it's one of the  
28 reasons why we, I think in the 2010 forecast,  
29 started presenting the three different cases in  
30 those horizontal bars that were presented on page  
31 41 on the 2010 research document by Grant et al.  
32 Q Yes, I remember those.  
33 A Okay.  
34 Q So that's one of your ways --  
35 A So we are playing around with different  
36 communication -- ways to communicate the  
37 uncertainty in the forecast, and that table, as we  
38 were walking through, was communicating both  
39 uncertainty in -- the stochastic random  
40 uncertainty and observation error, process error,  
41 model -- that kind of thing in the forecast  
42 distribution as well as forecast -- presenting  
43 uncertainty in regards to our assumptions about  
44 survival of salmon, whether -- for Fraser sockeye  
45 we expected 2009 to repeat itself, or we expected  
46 long-term average.  
47 So we were playing around with different

1 tools for communicating this complex sort of  
2 uncertainty in a simple form. The idea is that  
3 once you walk through it once, the next time you  
4 see it, you'll know right away what that's  
5 communicating, so it's -- the hard step is just  
6 walking through and explaining. But once you have  
7 it, you get a grasp of what you're communicating.

8 I know communication really interests myself,  
9 especially in light -- in the forecasting world.  
10 It's definitely a challenge in communicating  
11 complex information. As I was describing earlier  
12 today, why -- the forecaster beneficial (sic) --  
13 and the miscommunication of the forecasts being a  
14 single number and not a probability distribution,  
15 and what these forecasts are really telling us,  
16 rather than the sort of misdirection on the  
17 forecast being wrong. Instead, they're actually  
18 telling us, flipping it around and saying, no, the  
19 forecasts are actually telling us that what  
20 happened in 2009 was at the extremes of our range  
21 of experience.

22 So I don't know -- like I don't have the  
23 answers. I know that we're working on it. I  
24 think just getting out there and being proactive  
25 and communicating it more might be helpful. I  
26 know we communicate it in management planning, and  
27 maybe it gets simplified somewhat -- not  
28 simplified there, but part of the miscommunication  
29 can be that we're putting certain probability  
30 levels into tables and people are -- then when it  
31 gets out to the public, they see the single number  
32 and they start to forget that there's a  
33 probability distribution associated with it.

34 So maybe there's improvements in how we're  
35 communicating in season from the Department and  
36 from the Pacific Salmon Commission 'cause we all  
37 release news releases throughout the season.

38 I think just being more proactive and getting  
39 out there and having even, you know, communicating  
40 like this to people and having people understand  
41 the complexity. But I think it's a bigger  
42 question for the Department also to tackle in  
43 terms of how communication can be improved.

44 Q Is it fair to say that the forecasting you're  
45 doing is forecasting a range of probabilities as  
46 distinct from providing forecasting of actual run  
47 sizes?

1 A Well, we're forecasting -- it's kind of like a  
2 combination, maybe, of those where we're  
3 presenting -- based on our historical  
4 understanding of the Fraser sockeye populations,  
5 we're forecasting the probabilities associated  
6 with different run sizes, so based on historically  
7 what we've seen. So which run sizes would be most  
8 probable given what we've seen historically, and  
9 which are becoming less and less probable. So  
10 moving from ten percent probability level, which  
11 is a 1 in 10 chance of seeing a run size up to a  
12 90 percent probability. So it's kind of a  
13 combination of what you're saying.

14 Q One last question, which is I heard the complexity  
15 you have around communicating the uncertainties in  
16 the forecasting. I'm curious, what efforts do you  
17 make as someone who's responsible for generating  
18 these forecasts, to communicate the implications  
19 of those uncertainties to the managers, for  
20 example, the Fraser Panel. Is that work that you  
21 do, or do you rely on others to do it, or how does  
22 that get done?

23 A It would be a combination of myself -- I would be  
24 generally the presenter of the Fraser forecast and  
25 communicating the uncertainty for the Fraser  
26 sockeye forecasts at Pacific Panel Treaty  
27 meetings, so PST meetings. So annually, when  
28 we're in the pre-season planning mode, generally  
29 in February -- sometimes the January meetings --  
30 which is post-season, if we have -- generally we'd  
31 have the forecasts done by then. I would be  
32 responsible for presenting at the Panel meetings.

33 We also have integrated management team  
34 meetings where I might present at. Others might  
35 present the forecast as well in different forms,  
36 because I can't be everywhere at once. Sometimes  
37 it's tasked to people who understand the  
38 forecasting methodology and who will present at  
39 other forums. So it's a combination of myself and  
40 colleagues who are also technical experts and  
41 understand the complexity of the data.

42 MS. GAERTNER: Mr. Commissioner, I just have one  
43 question of your counsel that I need to ask before  
44 I can complete this -- my questions if that's  
45 possible. I can either do that right at this  
46 moment or --

47 THE COMMISSIONER: Sure. I'll turn off my microphone.

1 (OFF THE RECORD DISCUSSION)

2  
3 MS. GAERTNER: Those are my questions, Mr.  
4 Commissioner.

5 MS. BAKER: I don't know if Canada had any re-  
6 examination.

7 MR. TAYLOR: None.

8 MS. BAKER: No. Neither do I.

9 THE COMMISSIONER: I just had one quick -- I think you  
10 have a binder in front of you, Ms. Grant.

11 A Mm-hmm, yeah -- yes.

12  
13 QUESTIONS BY THE COMMISSIONER:

14  
15 Q Just to clarify for me, Tab 2, at least in my  
16 binder, is the CSAS document; is that correct?

17 A For 2006?

18 Q Yes.

19 A Yes.

20 Q I understood you to say that this document is not  
21 posted on the DFO website?

22 A This document would be posted.

23 Q It is posted? All right.

24 A It is.

25 Q And then the Tab 3 is the -- I think that's  
26 Exhibit 340, I'm not certain, but that's the Pre-  
27 Season Run Size Forecast for Fraser River Sockeye  
28 in 2009?

29 A Yes.

30 Q That's also posted?

31 A Yes.

32 Q So do I take it, then, that Tabs 4 and 5 similarly  
33 would be posted?

34 A Yes.

35 Q And do you have a counterpart at the Pacific  
36 Salmon Commission, or do you fulfil the role of  
37 advising on forecasting for both the DFO and the  
38 Pacific Salmon Commission?

39 A The forecasting responsibility for abundance  
40 forecasting for Fraser sockeye is DFO's  
41 responsibility, so we are ultimately responsible  
42 for producing it, so I would be the lead on the  
43 production of the Fraser sockeye forecast. But we  
44 collaborate and work with technical experts within  
45 the Department and outside, which is why we have  
46 Dr. Catherine Michielsens on the 2010 forecast as  
47 an author, because we've collaborated outside the

1 Department.

2 But the delivery would be on the Department  
3 for production of that forecast. But because we  
4 engage the broader scientific community, it can  
5 engage anyone out there who has the technical  
6 expertise that we want to engage, similar to any  
7 scientific paper that you write in the global  
8 community. You would engage colleagues and  
9 counterparts with expertise in other areas, so --  
10 but the ultimate responsibility lies within the  
11 Department.

12 Q But all of the modelling work that you've been  
13 talking about all takes place within the DFO, not  
14 within the Pacific Salmon Commission.

15 A As I mentioned, because we collaborate with the  
16 Pacific Salmon Commission, there would definitely  
17 be modelling done by the specific Salmon  
18 Commission in working with us collaboratively to  
19 assist with the forecasts. So there would be  
20 modelling done by the Pacific Salmon Commission to  
21 assist with the forecast in a collaborative way.  
22 I mean, we're working together.

23 Q But are there -- are there documents similar to  
24 the ones that you've got in your binder from the  
25 Pacific Salmon Commission?

26 A Oh, no. No, they just collaborate with us on our  
27 documents because we're the ones responsible for  
28 it. So we're working together on this document.  
29 Right.

30 THE COMMISSIONER: Okay. Thank you very much.

31 MS. BAKER: We do have -- hopefully, our next two  
32 witnesses are here, so perhaps we can take a  
33 shorter afternoon break. I'd like to be able to  
34 get some substance out of the way within this  
35 afternoon, so...

36 THE COMMISSIONER: All right. Thank you.

37 THE REGISTRAR: The hearing will now recess for ten  
38 minutes.

39

40 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)  
41 (PROCEEDINGS RECONVENED)

42

43 THE REGISTRAR: The hearing is now resumed.

44 MS. BAKER: Dr. Riddell, could you turn your mike on?  
45 Thank you. So Mr. Commissioner, we have a new  
46 group of witnesses to start, a panel dealing with  
47 run-size assessment, and this particular panel

1 will be dealing with hydro-acoustics. We have  
2 with us Mr. Mike Lapointe from the Salmon  
3 Commission, who has been sworn into these  
4 proceedings already, and Dr. Brian Riddell from  
5 Pacific Salmon Foundation, who is also been a  
6 witness already in the hearings, and perhaps they  
7 can just be reminded of their oath.

8 THE REGISTRAR: Yes, gentlemen, you are still under  
9 oath.

10 MR. LAPOINTE: Thank you.

11 DR. RIDDELL: Thank you.

12  
13 MICHAEL LAPOINTE, reminded.

14  
15 DR. BRIAN RIDDELL, reminded.

16  
17 MS. BAKER: Thank you.

18  
19 EXAMINATION IN CHIEF BY MS. BAKER:

20  
21 Q Now, my -- my questions will be -- I'll try to  
22 direct them to the specific person who I'm asking  
23 them of. And my questions to begin with, for the  
24 most part, are directed to Mr. Lapointe.  
25 Currently there are two in-river hydro-acoustic  
26 programs operating in the Fraser, one at Mission  
27 and one at Qualark; is that right?

28 MR. LAPOINTE: That's correct.

29 Q And Qualark is just downstream from Yale, about 95  
30 kilometres from Mission?

31 MR. LAPOINTE: I think that's about right. It's about  
32 a three-day swim. Brian and I were just sort of  
33 remarking, although there might be a little bit  
34 shorter distance. But it's about a three-day swim  
35 for a fish anyway.

36 Q Okay. Are both of these hydro-acoustic sites  
37 components of the in-season assessment program?

38 MR. LAPOINTE: Not in a formal sense. The Qualark  
39 program has been an experimental program. We did  
40 actually use Qualark, although it was not planned  
41 in 2010. It wasn't planned pre-season. But in a  
42 general sense, they'd just been conducted as a bit  
43 of an experimental program.

44 Q All right. And I'd just like to do a couple of  
45 clarifications in the Policy and Practice Report,  
46 as we go through. The first one is Policy and  
47 Practice Report Number 5 at page 72. You'll see



1 paragraph 184. The statement is:  
2

3 There are two in-river hydro-acoustic  
4 programs currently used to assess the  
5 abundance of migrating Fraser River sockeye  
6 in-season: one at Mission and one at Qualark.  
7

8 I take it only the Mission one is officially used,  
9 although Qualark is, in fact -- it also does  
10 measure in-season abundance?

11 MR. LAPOINTE: That's correct.

12 Q Okay. Now, the data that is collected at Qualark,  
13 is it used in any way by the Fraser River Panel to  
14 manage the Fraser River sockeye?

15 MR. LAPOINTE: As I said, in 2008 and 2009, so the  
16 Qualark program has been operating for the last  
17 three years, it was used in an informal sense so  
18 there was regular in-season exchanges of that  
19 information within a fairly small group and it was  
20 used sort of informally. And in 2010, we did  
21 actually use the -- the Qualark estimates to  
22 actually adjust the Mission estimates. So  
23 informally, and then in 2010, that's the nature of  
24 how it's been used up until this point.

25 Q Okay. Is it expected that Qualark will become  
26 part of the official in-river run-size assessment  
27 program?

28 MR. LAPOINTE: It's possible. Right now, the future of  
29 continued operation at Qualark is in doubt.

30 Q And why is that? What's the concern?

31 MR. LAPOINTE: It's major -- mainly a funding issue.  
32 We're looking for alternative ways to fund the  
33 program and there is actually a proposal that's  
34 being written as we speak actually to look at an  
35 alternate funding source and we expect to hear  
36 probably sometime in February about the success of  
37 that particular proposal.

38 Q Right now, who funds the work at Qualark?

39 MR. LAPOINTE: Primarily DFO.

40 Q Okay. If this additional cost was added to the  
41 Salmon Commission -- Pacific Salmon Commission's  
42 budget, how would that work? What would be the  
43 impact?

44 MR. LAPOINTE: It wouldn't fit too well in the current  
45 funding climate. The approximate cost of Qualark,  
46 we've been informed by our colleagues, is about  
47 \$300,000 a year, as an annual operating cost.

1 That doesn't include things like capital and  
2 equipment that are associated with the program.  
3 But that would represent about 7 percent of our  
4 annual secretariat budget, which is about \$4  
5 million, which is not a huge fraction of the total  
6 budget. But if you look at the fisheries  
7 management side of our budget, which is about a  
8 million of that four million, it's about 30  
9 percent of that budget.

10 So the current climate, and I'm not trying to  
11 be negative about this, it's just the -- the  
12 countries are quite conscious about keeping their  
13 contributions constant. Both the United States  
14 and Canada both kick in 50 percent of the total  
15 budget so it's a \$4 million budget, each would  
16 contribute \$2 million. And so any increments  
17 above that, you know -- you know, quite  
18 legitimately are, you know, looked at very  
19 carefully and so it would be hard to push, in this  
20 case, approximately \$150,000 per country easily  
21 through the budget process that we're going  
22 through right now.

23 Q Okay. Just another point in the -- in the PPR.  
24 I'll take you to it in a minute. First of all,  
25 the Mission system, is that a split-beam system?

26 MR. LAPOINTE: Currently at Mission, we're operating  
27 primarily split-beam transducers. We do have a  
28 DIDSON as well, but the primary estimation is by  
29 split-beam, that's correct.

30 Q Okay. And at paragraph 187 on the page you see on  
31 your screen, the PPR says that:

32  
33 The split-beam system can measure the speed  
34 and direction of fish moving upstream and/or  
35 downstream. It can also detect fish near the  
36 surface.

37  
38 Is that correct?

39 MR. LAPOINTE: The first part of that sentence is  
40 absolutely fine. The second part of the sentence  
41 is kind of a yes-and-no answer. And I'll try to  
42 explain. Any hydro-acoustic piece of equipment  
43 has a blind zone associated with objects that are  
44 very, very close to the front of the -- of the  
45 equipment. So it doesn't matter whether it's  
46 split-beam or single-beam or whatever the  
47 technology is. DIDSON is not quite as susceptible

1 to this as the split-beam is. So we have two  
2 kinds of programs at the Mission site. One of  
3 them is a vessel where the equipment is looking  
4 downward into the water. And in that case,  
5 clearly, fish near the surface would not be  
6 detected within about the first metre or so. Now,  
7 the shore-based system is a system that looks out  
8 from the shore into the middle of the river. And  
9 that one is operated on a number of different  
10 aims, if you like. So you can picture a piece of  
11 equipment that's sort of vaning through the water  
12 column like this with a certain number of minutes  
13 at each aim. So obviously, when it's aimed  
14 towards the surface, if the fish are, you know,  
15 far enough away, it can detect those fish on the  
16 surface. So it's, you know -- it's a little bit  
17 complicated to suggest a rewording but that's how  
18 I'd characterize the situation there.

19 Q Okay, thanks. And one last correction in the PPR  
20 I just want to get out of the way. At page 74,  
21 paragraph 193, the statement here references four  
22 lines down:

23  
24 For Mission, there is a gillnet fishery  
25 downriver (at Whonnock) that provides  
26 information on species composition, test  
27 fishing at the Mission site itself and visual  
28 counts upstream at Hells Gate.

29  
30 Is there also an additional test fishing site  
31 downstream of Mission that wasn't listed here?

32 MR. LAPOINTE: Yes, it's called the Cottonwood site and  
33 it's near the Deas Island Tunnel that you go  
34 through, the Highway 99 tunnel.

35 Q And what is that --

36 MR. LAPOINTE: It's primarily for stock composition.

37 Q Thank you.

38 MR. LAPOINTE: So the species composition being  
39 sockeye, pink, Chinook, Coho; stock composition  
40 being the individual components within the  
41 sockeye.

42 Q Okay. Thank you. I think those are all the  
43 points I wanted to raise in the PPR. So now I'd  
44 like to move to the Mission hydro-acoustic site.  
45 First of all, the Mission hydro-acoustic data is  
46 important for in-season run-size estimation; is  
47 that right?

1 MR. LAPOINTE: It's probably the single most important  
2 part of the in-season run-size estimation.

3 Q Okay. And the estimate of daily upstream  
4 migration collected at Mission is what we have  
5 heard many times referred to as the "Mission  
6 escapement"?

7 MR. LAPOINTE: That's correct.

8 Q Okay. And how does that data that's collected at  
9 Mission get used in run-size estimates?

10 MR. LAPOINTE: Perhaps -- maybe I could suggest a  
11 picture might be used here. We looked at some  
12 graphs last week in the Records of Management  
13 Strategy document and there's a set of them on  
14 page 170. I'm not sure what exhibit number this  
15 is.

16 Q That's Exhibit 330.

17 MR. LAPOINTE: And on page 170, just because -- I'm  
18 sure if I said, remember those graphs that we  
19 talked about last week, you might have a hard time  
20 recalling which ones I'm referring to. So these  
21 are the graphs that are used to display the daily  
22 abundance pattern of the different stocks. And in  
23 this case, they're shown relative to the forecast  
24 -- two levels of forecast, the median value and  
25 the lower value referred to as the "75p here. So  
26 the way that the Mission estimates are used is  
27 they're actually used to create that dark sort of  
28 jaggedy line, which in the top there for Early  
29 Stuart, shows a little bit of a peak around the  
30 29th of July, for example. That's the graph that  
31 I'm referring to.

32 So the Mission data are used to generate that  
33 daily abundance pattern, along with any catches.  
34 So last week, we talked about this idea of a --  
35 sort of a boxcar model with this train car that's  
36 about a day wide that has an abundance of fish on  
37 it. And if there's no fishing, then, as that  
38 abundance passes the test fisheries and it reaches  
39 Mission, then those two numbers, if everything's  
40 working well, should be fairly similar in terms of  
41 their estimates. But if there's a fishery that  
42 occurs between the two sites then there would be a  
43 removal. So obviously you want to account for the  
44 total abundance. So these graphs are intended to  
45 be the total abundance, not just escapement.

46 So it's the Mission data, which is the  
47 primary anchor. Any catches that might have

1 occurred between test fisheries in Mission that  
2 need to be added to the total run, that's primary  
3 -- the primary tool that's used to generate these  
4 graphs. The last six days, because those are fish  
5 that would have passed the test fishery but not  
6 yet reached Mission, would be test fishing base.  
7 So it would be nice to be able to kind of colour  
8 in the last six days of these graphs. But in the  
9 case of Early Stuart, by this date -- I'm not sure  
10 what the date is -- it looks like it's sometime in  
11 late July -- all the fish that would have been  
12 available to pass Mission would have passed. In  
13 the case of Early Summers and Summers, you see,  
14 are at different stages of the run.

15 So the concept is that you take these in-  
16 season daily reconstructions, what we call them,  
17 these bold solid lines and compare them to  
18 hypothetical run sizes with different timing and  
19 spread. And you're trying to ask the question,  
20 not just the forecast, but a whole range of them.  
21 And you're trying to ask, okay, which possible  
22 scenario of abundance and timing is most  
23 consistent with the data? And in our discussion  
24 last week, we talked about how you're more certain  
25 about that when you see the peak. So this is a  
26 very good example. You see the Early Stuart. If  
27 you've got the entire run in your sites, you could  
28 be pretty sure about finding some limited set of  
29 potential abundances that would be consistent with  
30 that.

31 If you look at the Summer run on the bottom,  
32 clearly there's going to be a whole range of  
33 potential abundances and timings that will be  
34 equally consistent with that little bit of data  
35 that we have. So Mission is the -- kind of the  
36 anchor for generating these curves.

37 Q And why -- why use Mission and not just the test  
38 fishing data that you're receiving six days prior  
39 to Mission?

40 MR. LAPOINTE: Well, the main issue is something I  
41 think I also referred to last week is that Mission  
42 is quite a large sample. We probably actually, in  
43 physical targets, detected Mission somewhere in  
44 the order of 10 to 15 percent of the actual number  
45 of fish going by. Test fishing catches represent  
46 somewhere around the order of half to -- half-a-  
47 percent to 1 percent. So it's a much smaller

1 sample. So the Mission data should be more  
2 precise and we believe more accurate just because  
3 it's a more -- it's a larger sample of what's  
4 going by.

5 Q All right. And near the Mission hydro-acoustic  
6 site, there are places where you do stock -- you  
7 collect samples for stock composition?

8 MR. LAPOINTE: Yeah, so the idea there is that the --  
9 the total sockeye number comes from the  
10 combination of the acoustics and any species  
11 compositions. So in pink years, you'd have to  
12 parse out the pinks and the sockeye. But then you  
13 want to divide that total sockeye into the  
14 different stock groups at a minimum, the four  
15 sockeye management groups, so the Early Stuart,  
16 Early Summer, Summer and Lates. But then, as I  
17 think some of these other graphs in this document  
18 show, sometimes we're parsing out into finer units  
19 for different purposes. So you know, if the  
20 concept is you've got the total pie, which is the  
21 sockeye, and then the stock ID is splitting that  
22 pie into the different component groups.

23 Q Are the programs -- is the Mission program, I  
24 should say, reviewed by the PSA staff every year?

25 MR. LAPOINTE: Yeah, it's a routine part of our post-  
26 season work.

27 Q Okay. And who's part of that review? Which -- is  
28 it all PSC or are other people involved?

29 MR. LAPOINTE: We have both internal and collaborative  
30 reviews. The internal reviews are, you know, just  
31 our staff. The external or the collaborative  
32 reviews involve a group called the "Hydro-  
33 Acoustics Working Group", which is largely  
34 comprised of colleagues from DFO who have  
35 considerably acoustics expertise. So that kind of  
36 was borne out of more formal collaborations as a  
37 result of some of these reviews that have occurred  
38 in the past where there's been recommendations for  
39 improvements. And so we sort of kept that group  
40 together and we try to take advantage of their  
41 views in reviewing our programs.

42 Q All right. I'm going to show you a document,  
43 which is in Tab 4 of the binder you have in front  
44 of you. It's CAN065011.

45 MR. LAPOINTE: Okay, yeah?

46 Q Thank you. And these are Minutes of Hydro-  
47 Acoustic Working Group, HaWG.

1 MR. LAPOINTE: Right.  
2 Q This is the group you were just talking about?  
3 MR. LAPOINTE: Yeah, it's a catchy name so it works.  
4 Yeah, this is our group. And it varies. Like  
5 sometimes there will be some other folks than the  
6 ones listed on this -- this list of -- but those  
7 are the principal players in the group.  
8 Q Right. And this is an example of the minutes that  
9 would be kept of that kind of a meeting,  
10 obviously?  
11 MR. LAPOINTE: Yeah, sure. Yeah, that's a perfect --  
12 good example.  
13 Q All right. You said that this working group was  
14 put together following some reviews. Is this --  
15 can you relate the year of those reviews to the  
16 creation of this group?  
17 MR. LAPOINTE: Sure. So we've had reviews associated  
18 with 1992, which was a Pearce-Larkin review; 1994,  
19 John Fraser review; 1998 was an internal review  
20 largely within the Fraser Panel in reference to  
21 the very hot water we had in the Fraser River that  
22 year; 2004, Brian Williams review. Trying to  
23 think if I've missed any. I think that's -- those  
24 are most of them. And of course, standing  
25 committee, Brian?  
26 DR. RIDDELL: 2004.  
27 MR. LAPOINTE: Okay. So there was a standing committee  
28 review also in 2004, I believe.  
29 Q And was this group created in reaction to all of  
30 those? I mean I wouldn't think so.  
31 MR. LAPOINTE: Oh, no, actually --  
32 Q No.  
33 MR. LAPOINTE: -- this group is there all the way  
34 through --  
35 Q Yeah.  
36 MR. LAPOINTE: -- so there's nothing about the 2004  
37 review that was unique relative to the past years  
38 except that obviously we had a lot more outside  
39 folks focused on what we're doing. But other than  
40 that, it's a routine thing. We meet -- whether we  
41 have a review or not, we meet.  
42 Q All right. In 2004, you -- you met with -- I  
43 think this was following the Williams review?  
44 That's -- that's (indiscernible - overlapping  
45 speakers)?  
46 MR. LAPOINTE: Well, I think the Williams review was  
47 still -- still meeting in the spring of that year,

1 as I recall, but I could be -- could be wrong. I  
2 seem to recall testifying in like May -- April/May  
3 of that year so this was prior to that, probably  
4 to lay out some work plans for input into that  
5 process.

6 Q All right. And the Williams review was instigated  
7 by some significant discrepancies, amongst other  
8 things, in 2004; is that right?

9 MR. LAPOINTE: That's correct.

10 Q All right. And discrepancies in the river portion  
11 in terms of what got on the spawning ground and  
12 what was recorded initially?

13 MR. LAPOINTE: Yeah, this item that we've been calling  
14 the DBE in my previous testimony is the topic of  
15 that review largely.

16 Q All right. And is that what was on the -- on the  
17 table for discussion during the working group  
18 meeting that I have put (indiscernible -  
19 overlapping speakers)?

20 MR. LAPOINTE: Yeah, it's on the table for discussion  
21 in every year. So one of the inferences we draw  
22 -- or one of the things we use to draw an  
23 inference about how we're doing is how well or not  
24 the upstream numbers coincide with what we might  
25 have expected based on our lower river hydro-  
26 acoustics.

27 MS. BAKER: All right. Could I have these minutes  
28 marked, please?

29 THE REGISTRAR: Exhibit Number 353.

30

31 EXHIBIT 353: Hydroacoustic Working Group  
32 Meeting (HaWG) - 14&15 Dec 2004 - Review of  
33 2004 of Mission Hydroacoustic Program  
34

35 MS. BAKER:

36 Q Okay. So this issue that's on the table, the bias  
37 or accuracy at Mission, can you describe what that  
38 issue is and how it was addressed in your working  
39 group?

40 MR. LAPOINTE: I'm trying to think of a specific  
41 recollection to 2004. We would have done our  
42 normal, routine review of the sampling schemes to  
43 see if there were any issues with equipment. You  
44 know, on sample, there is -- anything that we  
45 could think of that would be obvious from a  
46 sampling design perspective that could cause bias.  
47 In 2004, we probably looked for other sources of



1 causes for discrepancies. The big one in 2004  
2 would have been the extremely warm temperatures.  
3 I think, in my recollection serves me right, I  
4 think there were something like eight or nine  
5 record daily maximums Fraser River temperatures  
6 set in that year; in other words, the warmest day  
7 -- temperature on this date in 60 years. There  
8 were like nine of those set in 2004. So in a  
9 general sense, though, you know, this program has  
10 been subject to fairly intense scrutiny over time.  
11 And in all of those reviews, including 2004, and  
12 in general, it's been not found that there's  
13 significant issues although we've always come out  
14 of those reviews with recommendations for  
15 improvements.

16 Having said that, accuracy is not that easy  
17 to address in a scientific sense. And the reason  
18 I say that is when you use a word like "accuracy"  
19 and there's quite a bit of misunderstanding, not  
20 only in the public but also in some technical  
21 discussions. What you're really saying is, how  
22 close is your estimate to what the true underlying  
23 population is? And the reality is, at Mission, we  
24 don't know what the true underlying population is  
25 and so the way we try to address the issue of  
26 accuracy is by drawing some sort of an inference.  
27 And you draw an inference from a number of  
28 different ways. One is to, again, look at your  
29 sampling design. Are there any elements of your  
30 sampling design, places you're not sampling,  
31 things like that, that could create some sort of  
32 bias?

33 But the other way that's been used and more  
34 commonly is to compare the Mission estimate to  
35 another estimate from somewhere else like Qualark  
36 or upstream or -- and that -- that is used to draw  
37 an inference. And I guess it's always important,  
38 as a scientist, to sort of thing about that and  
39 recognize that if that's another estimate, then  
40 that estimate could also not represent the true  
41 value. So you're caught in this dilemma of trying  
42 to look for some consistency in independent  
43 estimates and say, well, if it's inconsistent  
44 there's definitely something that could be wrong  
45 with one of them. If they're consistent, perhaps  
46 the impression is drawn that perhaps they're  
47 correct, which may be true. I mean the likelihood

1 of two independent things being wrong so it's a --  
2 it's a real challenge at the Mission site and any  
3 other acoustic site to know what the true answer  
4 is. And so we're always trying to draw these  
5 indirect inferences based on either other  
6 estimates or looking at our program to see if  
7 there's anything faulty about the way we're  
8 sampling that could create a problem.

9 Q All right. So in terms of what you can do to  
10 assess accuracy or bias at the Mission site,  
11 you've talked about evaluating the sampling design  
12 as being one thing to be done?

13 MR. LAPOINTE: Yeah, and you could think about other  
14 ways in sort of an academic sense to do this. I'm  
15 not certainly recommending them. But so for  
16 example, when there's a large fishery in Area E,  
17 it tends to remove almost all the fish that are  
18 available on a daily block. So when we see a  
19 Mission estimate following a fishery that is a  
20 very low number, that gives us some confirmation  
21 that when there's a removal we've got a pretty  
22 handle on the estimate.

23 You could do the reverse experiment and get a  
24 daily abundance estimate at Mission and then try  
25 to remove fish upstream of it to try to get a  
26 sample of a day's migration. I mean these are  
27 things that could be done but it is very  
28 challenging. But we do use catch information,  
29 both above and below Mission, to give us an idea,  
30 okay, well, does that catch make sense relative to  
31 the number of fish that were available or the  
32 harvest rates that a fishery could -- could exert?  
33 So it's definitely kind of inferential, indirect,  
34 not really attacking the accuracy question in a  
35 pure scientific sense.

36 Q Right. So the issue about bias has been on the  
37 table for a number of years and it is something  
38 that you review every year?

39 MR. LAPOINTE: Yes, it's a routine part of our analysis  
40 in the post-season.

41 Q All right. And have any improvements been made  
42 over the last, say, five to ten years in  
43 addressing some of these concerns?

44 MR. LAPOINTE: Yeah, a number of them. The most  
45 notables would be moving to the split-beam  
46 technology from the single-beam technology.  
47 Single-beam technology is not capable of

1           discerning direction of travel or speed of travel,  
2           whereas split-beam is so we had, I guess,  
3           initiated from the 1994 review about a seven,  
4           eight-year program to bring those methods of  
5           split-beam technology to Mission. And so that was  
6           one of the main ones.

7           Another main one is to try to sample also  
8           from the shore. So we basically followed a model  
9           developed for Qualark when Qualark was first  
10          developed in its first -- first incarnation, I  
11          guess, in the mid-'90s to say, okay, if we can  
12          sample from the shore, a significant fraction of  
13          the abundance, that should be much more robust.  
14          And the reason it's more robust is that the --  
15          when you have a boat that's moving, a couple of  
16          things happen. One is fish to react to a boat.  
17          I'm sure everyone can relate to the idea that if  
18          you have a boat with a motor on it and you're  
19          trying to sample fish, they're going to react to  
20          the motor. And we can detect evidence of this  
21          within about four metres of our boat. We've done  
22          some work on that.

23          The other one is that you're trying to get an  
24          estimate of the speed of travel, which is  
25          important for the estimation. And so if you have  
26          a moving vessel and moving fish, it can be really  
27          difficult to get an accurate estimate of the  
28          speed. So the reason to go to the shore-based  
29          system is you can get way more accurate estimates  
30          of speed of travel and direction of travel from  
31          the shore. So split-beam trying to sample from  
32          the shore, we have systems now on both banks, are  
33          two of the most significant improvements we've  
34          made in the last four or five years.

35          Q     Thank you. And Dr. Riddell, do you have anything  
36          to add on this? You need to turn your mike on.  
37          Thank you.

38          DR. RIDDELL: Well, there's a couple of points. I want  
39          to support what Mike was saying about how you  
40          assess accuracy or bias and that. And really the  
41          only way you can evaluate that is with an  
42          independent estimate. And Mike stressed the  
43          consistency element. But we also have to  
44          recognize that each has independent sources of  
45          bias. You tend to be using a different tool or  
46          you're using a different location and that. So we  
47          do place a fairly high dependence on consistency

1 between estimates and that. And we do look for --  
2 if it's a three-day lag between Mission and  
3 getting up to Qualark and if we adjust for that,  
4 is there a strong correlation? And many of your  
5 documents you'll see have plots of returns over  
6 time overlapped and there's a very, very high  
7 correspondence and that. So it's a difficult  
8 thing to do. I think, as Mike just said, the  
9 Pacific Salmon Commission has made a very serious  
10 effort to work with other groups and improve their  
11 estimates over time. And as you will get to  
12 later, I guess, the -- the main emphasis for going  
13 to Qualark in late 2000 was really to try and tie  
14 down this issue of accuracy of the estimate and  
15 whether we can account for some of the repeated  
16 sort of differences in numbers that people talk  
17 about.

18 Q Okay. And one other problem that's been  
19 identified at Mission is the impact of pinks co-  
20 migrating with sockeye. Can you give us some  
21 information on that?

22 MR. LAPOINTE: Sure, that's correct. And we've already  
23 touched on this a few times, I guess, even when --  
24 I think the first time I was here perhaps in  
25 October or November. But there's two components  
26 of this. The most important one to focus on is  
27 the -- is the sampling of the -- of the species  
28 that are migrating by. And we use test fisheries  
29 to obtain the sample. And what we've noticed with  
30 pink salmon, and it became very obvious in 2005  
31 where we feel like we probably had a fairly  
32 significant bias in Mission during our in-season  
33 period, is that the test fishery that we use, and  
34 I'm speaking specifically about the Whonnock test  
35 fishery now, tends to catch a disproportionate  
36 number of sockeye relative to the overall  
37 migration of sockeye plus pink. Likely, that's  
38 due to differences in where these fish travel.  
39 Pinks tend to be quite near shore, sockeye more in  
40 the mid-channel areas, and this test fishery at  
41 Whonnock is more of a mid-channel sampling test  
42 fishery.

43 The second component that's not discussed too  
44 much but we may get into a little bit more when we  
45 talk about other tools, is that pink salmon,  
46 because they are shore-oriented and they can be  
47 quite abundant, you know, something like, you

1 know, 15, 20 million runs are not uncommon of  
2 which a fairly significant fraction of that would  
3 end up in the Fraser River, they can, with the  
4 split-beam technology really swamp the technology  
5 in some ways, almost overwhelm the ability to  
6 discern individual targets. If you're looking at  
7 a signal from this kind of equipment, it would  
8 almost look like a complete black screen in some  
9 cases when the pinks are very abundant. So that  
10 means that there would be a tendency to have a low  
11 bias in the total salmon because the pinks would  
12 not be estimated that accurately.

13 But a high bias in the proportion of sockeye  
14 -- the high bias in the proportion of sockeye is  
15 what created the problem in 2005. And 2005 was an  
16 extreme case because of the extraordinary lateness  
17 of the sockeye run and also the early upstream  
18 migration of pinks; they seemed to be doing  
19 something similar to late-run sockeye. So it's  
20 the combination of the sampling, which you want to  
21 be representative of the overall migration that  
22 comes from the test fishery, and the acoustic  
23 challenges that pinks pose that give us a  
24 challenge on pink years, let's say.

25 Q And that problem, you described as being  
26 particularly bad in 2005?

27 MR. LAPOINTE: Yes, it was extraordinarily bad for the  
28 reasons I just -- just described in terms of the  
29 overlap in the two species.

30 Q And in 2007, did it continue to be a problem?

31 MR. LAPOINTE: You know, in 2007 and 2009, we managed  
32 to kind of finesse a solution that we have used  
33 historically to estimate the sockeye and, that is,  
34 to use the test fishery. You know, prior to 2005  
35 and continuing since then, as I say, 2007, 2009,  
36 what we've used is the -- related the catch of  
37 sockeye in the test fishery to the abundance of  
38 sockeye at Mission prior to when the pinks show  
39 up, so to get that ratio of how many fish are  
40 associated with a particular size catch, how many  
41 fish in the total migration, how many sockeye.  
42 And that was used very successfully up until 2005  
43 when there really wasn't a good strong period of  
44 abundant sockeye migration before the pinks showed  
45 up, that they basically showed up at the same time  
46 so we couldn't use that method in 2005.

47 But in 2007 and 2009, we did use that method

1 and it seems to have come out okay. I guess I  
2 would just say because people will know,  
3 especially about 2009, is that those were both two  
4 very low sockeye run years, very low, a million-  
5 and-a-half. I think '07 was in the same range.  
6 And so in that situation, you're not likely to  
7 over-sample the sockeye with a test fishery in the  
8 middle of the channel because there aren't many to  
9 begin with. So I wouldn't suggest that the -- the  
10 fact that we were able to, you know, finesse the  
11 method and use the historical approach in 2007 and  
12 2009 is kind of like we've got it solved. I think  
13 it just happened to work out because there was a  
14 low abundance of sockeye. So we're looking at  
15 other ways around this issue and we can maybe talk  
16 about those a little bit later, if we get into  
17 that issue.

18 Q I'm going to --

19 DR. RIDDELL: Could I just add something?

20 Q Yeah.

21 DR. RIDDELL: I mean I think just for clarification,  
22 what Mike is really talking about is the -- you  
23 have annual variation because the Fraser sockeye  
24 abundance is in the cycles and that. Now, '09 was  
25 very exceptionally low and that was different from  
26 the expected cycle year but '08 was not and that  
27 was a low cycle year. And the major difference  
28 that really caused a lot of problems in recent  
29 years has been the earlier run timing of pink that  
30 then overlap with the later run -- or the late  
31 portion of the summer sockeye and the beginning of  
32 -- well, right through the fall sockeye --

33 MR. LAPOINTE: Yeah, thanks, Brian, that's great.

34 DR. RIDDELL: -- the late run. So you've got really  
35 two factors that the Commission really has to sort  
36 out. One is the abundance of sockeye that has a  
37 couple of reasons between years and the other is  
38 the recently abnormal run timing of pink salmon.  
39 And now, we could be looking at just enormous runs  
40 like '09 and expected for 2011 should be very big  
41 again.

42 Q Right. And have there been any solutions worked  
43 out for what's expected in 2011?

44 MR. LAPOINTE: Well, I received the forecast document  
45 in my email today and it was received under the  
46 agreement of confidentiality because it's subject  
47 to review at the PSARC meeting on February 4th.

1           So I'm not sure what the protocol is for divulging  
2           that at this particular forum but I have seen a  
3           number. The reason Brian is suggesting it would  
4           be large is that there is a number out there  
5           that's the juvenile out migration estimate from  
6           2010 and it was somewhere in the order of billion  
7           fry, which was not double the previous largest but  
8           it was -- I think the previous largest was 600  
9           million so...

10          Q     This is pinks you're talking about?

11          MR. LAPOINTE: We're talking about pinks, sorry. Thank  
12           you. Yes, we're talking about pink salmon. So  
13           Brian's intuition about the potential for large  
14           forecasts comes from that very large out migration  
15           of the juveniles.

16          Q     Right. So are you anticipating a problem then  
17           with the species composition issue at Mission this  
18           year?

19          MR. LAPOINTE: We anticipate having to address the  
20           problem again this year and we're trying to put  
21           some programs in place -- and I think that's what  
22           you were starting to ask me but I'm not sure -- to  
23           try to -- try to address it.

24          Q     Yeah, so is fish wheels a project that is designed  
25           to address species composition?

26          MR. LAPOINTE: It wasn't specifically designed as that,  
27           as its sole purpose, but it is an option and so...

28          Q     How does that work?

29          MR. LAPOINTE: Well, the issue is -- the solution to  
30           this in terms of the conceptual solution is quite  
31           -- quite obvious. And what it's going to involve  
32           is what we call a stratified sampling approach.  
33           And what I mean by that is it's -- since we  
34           understand from our test fisheries that the  
35           sockeye and the pinks are not distributed evenly  
36           across the river, that it makes sense to have  
37           samples of the species composition from the shore  
38           separate from the channel. So that's the idea of  
39           a stratified sample, talking about stratified and  
40           space across the river channel. And similarly  
41           match that up with stratified samples of the  
42           acoustics from our acoustic estimation. Now, it  
43           just so happens that our acoustic estimation has  
44           already got a built-in stratification. We have a  
45           system on each shore and a system in the channel.  
46           So that part is well -- well looked after. The  
47           challenge is to come up with a stratified sampling

1 of the species composition of which the fish wheel  
2 provided an opinion for the shore-based sampling  
3 of the species composition.

4 So the projects that we've talked about and,  
5 in fact, even implemented as a pilot in '09 were  
6 be to use the fish wheel as the shore-based  
7 sampler and Whonnock as the channel sampler for  
8 species composition. And we actually developed an  
9 estimate of pink salmon escapement in 2009 based  
10 on that method and actually came out to a number  
11 that -- well, it was about 15 million pink salmon,  
12 which happened to match up with the run-size  
13 estimate from the test fishing less the catch so  
14 because they agree, of course, we believe they're  
15 probably both right but that may not be true.

16 And the other method that we're talking about  
17 and have already tried, although we haven't had  
18 the test fishery operate for a long enough period  
19 yet, is to use a test fishery at the Mission site  
20 itself. We've engaged Sumas First Nation to do  
21 set nets near the short for the shore-based part  
22 of the species composition and then a drift  
23 gillnet upstream of Mission for the channel.

24 So those are the two kind of ideas we have  
25 for the species composition and the stratified  
26 sampling.

27 Q And I have a note here about near-shore estimates  
28 using DIDSON. Is that the system that you already  
29 described when you said you have a system on the  
30 shore and a system in the centre?

31 MR. LAPOINTE: No, that relates to the second part of  
32 the pink salmon challenge that we have, this issue  
33 of saturating the split-beam.

34 Q Mm-hmm?

35 MR. LAPOINTE: Turns out the DIDSON seems to be quite  
36 robust -- quite a bit more robust in terms of the  
37 -- the volume of fish that can be -- can be passed  
38 in the DIDSON without creating a problem with the  
39 estimation and we know this from our work at  
40 Mission and we also know from the work at Qualark,  
41 which has had a DIDSON the last three years, that  
42 the daily abundances -- and I won't be able to  
43 remember the maximum daily abundance off the top  
44 of my head, but you know, closer to a million fish  
45 per day seemed to be able to go past these --  
46 these systems -- and remember, they're going to be  
47 split in two because there's one on each bank --



1           seemed to be -- be able to be handled. I mean  
2           it's tiring for the -- for the folks that are  
3           doing the estimation because they're actually  
4           physically clicking through some of these counts.  
5           But -- but it looks from a technology perspective,  
6           that's a real advantage that the DIDSON, among  
7           others, will offer us in solving this problem.

8           Q     Okay. Is it fair to say that where we sit today  
9           that Mission doesn't provide a reasonable  
10           assessment of sockeye when pink salmon are there?  
11           I mean it doesn't sound like the problem's been  
12           completely solved.

13          MR. LAPOINTE: I mean I think it's sort of a yes-and-no  
14           answer. There are certain conditions, and Brian  
15           was helpful in bringing these up, related to the  
16           relative abundance of sockeye and pinks when it's  
17           going to be more of a challenge and when the pinks  
18           come in early where it's going to be more of a  
19           challenge than others. But we have three years,  
20           you know, just take the most recent three years.  
21           2005 clearly very significant problem in Mission,  
22           you know, documented in our annual report, already  
23           come up in evidence already. We've talked about  
24           it. 2007 and 2009, you know, seems like we did  
25           reasonably okay. So it's fair to say that the  
26           problem definitely has not been solved. I think  
27           that's -- but can we say every year it will be a  
28           problem? It will depend upon what the fish --  
29           what the fish do to us, I guess.

30          Q     And what about you, Dr. Riddell? Do you agree  
31           that while there was -- there are some problems,  
32           it's -- we can still get reasonable estimates of  
33           sockeye at Mission when pink salmon are in the  
34           water?

35          DR. RIDDELL: Well, I think that -- well, Mike referred  
36           to the fish wheel as not really being one of the  
37           target benefits of doing that but there are a  
38           number of spin-offs from the Qualark program  
39           linked with the fish wheels and that. And I think  
40           that by actually investigating all the data that  
41           we have at the same time, the Commission has  
42           certainly found ways that, as Mike said, stratify  
43           the river, use other tools to get your best  
44           estimate, in particular strata, and then put that  
45           back together. We've only been able to really do  
46           that because we've had other people working with  
47           the Commission now using new tools and trying to

1           verify some of these things. So I think we'll be  
2           able to build on that and we'll be able to do a  
3           better job because the tools that we have looked  
4           at, particularly in post-season, really did fit  
5           quite well for 2007 and 2009.

6           Q     All right. And just one last question on the  
7           pinks and then I think we'll stop for the day.  
8           What are the -- we've, of course, heard many times  
9           about the four run-timing groups in the sockeye  
10          system. Which of those run-timing groups are  
11          impacted by the co-migration of pinks?

12         MR. LAPOINTE: Primarily up until recent -- up until  
13          the pinks started coming in early was the Late  
14          run. But now certainly the Summer run and the  
15          Late run for sure and in some years if it's a very  
16          large pink run and they're very early, the back  
17          half of the early summer can also be impacted by  
18          this problem. The later part of -- later -- later  
19          time prior to the Early Summers, I should say.

20         Q     So on pink years, it's a very significant portion  
21          of the sockeye --

22         MR. LAPOINTE: If the pink's --

23         Q     -- run that's impacted?

24         MR. LAPOINTE: If the pinks migrate upstream early, it  
25          can impact, you know, almost all the run groups  
26          except for Early Stuart.

27         MS. BAKER: Okay. If it's convenient, I'll stop there  
28          for today.

29         THE REGISTRAR: The hearing is now adjourned for the  
30          day and will resume at ten o'clock.

31  
32                         (PROCEEDINGS ADJOURNED TO JANUARY 27, 2011,  
33                         AT 10:00 A.M.)  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

1 I HEREBY CERTIFY the foregoing to be a  
2 true and accurate transcript of the  
3 evidence recorded on a sound recording  
4 apparatus, transcribed to the best of my  
5 skill and ability, and in accordance  
6 with applicable standards.  
7

8  
9 \_\_\_\_\_  
10 Pat Neumann  
11 Registered Court Transcriber  
12

13 I HEREBY CERTIFY the foregoing to be a  
14 true and accurate transcript of the  
15 evidence recorded on a sound recording  
16 apparatus, transcribed to the best of my  
17 skill and ability, and in accordance  
18 with applicable standards.  
19

20 \_\_\_\_\_  
21 Susan Osborne  
22 Registered Court Transcriber  
23

24 I HEREBY CERTIFY the foregoing to be a  
25 true and accurate transcript of the  
26 evidence recorded on a sound recording  
27 apparatus, transcribed to the best of my  
28 skill and ability, and in accordance  
29 with applicable standards.  
30

31 \_\_\_\_\_  
32 Diane Rochfort  
33 Registered Court Transcriber  
34

35 I HEREBY CERTIFY the foregoing to be a  
36 true and accurate transcript of the  
37 evidence recorded on a sound recording  
38 apparatus, transcribed to the best of my  
39 skill and ability, and in accordance  
40 with applicable standards.  
41

42 \_\_\_\_\_  
43 Karen Acaster  
44 Registered Court Transcriber  
45  
46  
47