

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Wednesday, February 9, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mercredi 9 février 2011

APPEARANCES / COMPARUTIONS

Wendy Baker, Q.C. Maia Tsurumi	Associate Commission Counsel Junior Commission Counsel
Mitch Taylor, Q.C. Hugh MacAulay	Government of Canada ("CAN")
Boris Tyzuk, Q.C.	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
No appearance	Rio Tinto Alcan Inc. ("RTAI")
No appearance	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
Don Rosenbloom	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

Phil Eidsvik	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Chris Watson	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
Keith Lowes	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid Aboriginal Aquaculture Association ("LJHAH")
No appearance	Heiltsuk Tribal Council ("HTC") Articled Student
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
PANEL NO. 18 :	
KEN WILSON, recalled	
In chief by Ms. Baker	15/18/20/22/26/34/48/50/52/55/56/58/64
Cross-exam by Mr. Leadem	81
BRIAN RIDDELL, recalled	
In chief by Ms. Baker	14/18/19/24/28/29/31/37/39/41/45/47 51/54/55/57/60/67/70
Cross-exam by Mr. Leadem	71/73/76/79/80
JIM WOODEY, affirmed	
In chief by Ms. Baker	2/3/12/15/16/20/23/28/32/35/40/45 48/49/53/55/57/58/64
Cross-exam by Mr. Leadem	72/74/79/81
CARL WALTERS, affirmed (appearing by videoconference)	
In chief by Ms. Baker	3/11/14/16/17/19/21/25/30/32/38/39 44/46/47/48/49/50/52/54/56/57/61/69
Cross-exam by Mr. Leadem	72/73/75/79/81

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
414	<i>Curriculum vitae</i> of Dr. James C. Woodey	2
415	<i>Curriculum vitae</i> of Dr. Carl Walters	3
416	1985 Fraser River Sockeye Forecast (IPSFC)	9
417	Pacific Fisheries Resource Conservation Council, "Does Over-Escapement Cause Salmon Stock Collapse: April 2004 paper	46

1
PANEL NO. 18
In chief by Ms. Baker

1 Vancouver, B.C. /Vancouver
2 (C.-B.)
3 February 9, 2011/le 9 février
4 2011
5

6 THE REGISTRAR: Order. The hearing is now resumed.
7 MS. BAKER: Thank you. Good morning, Mr. Commissioner.
8 Today we have a new panel of witnesses, two of
9 whom you have met before, two of whom are new, and
10 we've got one, as you can see, on the video feed
11 from Florida. So we have Dr. Carl Walters in
12 Florida on the screen, looming over us here larger
13 than life, and we have Mr. Ken Wilson, who you met
14 the last two days, Dr. Jim Woodey in the centre on
15 the panel, and Dr. Brian Riddell. So for Dr.
16 Riddell and Ken Wilson, their oaths would remain,
17 but the two new witnesses will need to be sworn.
18

19 KEN WILSON, Recalled.

20 BRIAN RIDDELL, Recalled.

21 JAMES WOODEY, Affirmed.

22 CARL WALTERS, Affirmed.
23
24
25
26

27 THE REGISTRAR: Could you state your name, please.

28 DR. WOODEY: James C. Woodey.

29 THE REGISTRAR: Thank you. Dr. Walters, your name?

30 DR. WALTERS: Carl John Walters.

31 THE REGISTRAR: Thank you. Counsel.

32 MS. BAKER: Thank you. And as we discussed yesterday,
33 I have a few questions for Dr. Woodey that spill
34 over from yesterday's hearing, but I'll just
35 incorporate those into our overall presentation
36 this morning. So I think I will go through the
37 backgrounds of Dr. Woodey and Dr. Walters just at
38 the outset and then we'll move to the questions
39 for Dr. Woodey alone.
40

41 EXAMINATION IN CHIEF BY MS. BAKER:
42

43 Q So I'll start with you, Dr. Woodey. First of all,
44 your bio was provided to the Commission, and
45 that's at Tab 11 of the binder before you, and it
46 should be coming up on your screen. Just by way
47 of background, you obtained your Ph.D. in 1971 on

February 9, 2011

1 sockeye salmon; is that right?

2 DR. WOODEY: That's correct.

3 Q And you worked with the International Pacific
4 Salmon Fisheries Commission from 1971 to 1985?

5 DR. WOODEY: Yes.

6 Q And you've stayed with the -- well, with the new
7 Pacific Salmon Commission after the transition up
8 until 2002; is that right?

9 DR. WOODEY: That's correct.

10 Q And you were the Chief Biologist and Head of the
11 Fisheries Management Division for the PSC during
12 that time?

13 DR. WOODEY: That's correct.

14 Q And in your work as Chief Biologist at the PSC in
15 relation to Fraser River sockeye, you worked with
16 the Fraser River Panel, you were involved in
17 monitoring programs, and you designed fishery
18 management strategies to achieve Treaty
19 objectives; is that fair?

20 DR. WOODEY: Yes, that is correct. The work evolved
21 over time, but all parts of the fisheries
22 management was under the control of the IPSEC, and
23 I was the Chief of the Fisheries Management
24 Section for that last few years, and then with the
25 PSC.

26 Q And this is your biography that we now have on the
27 screen before you?

28 DR. WOODEY: Yes.

29 MS. BAKER: I'd like that marked, please, as the next
30 exhibit.

31 THE REGISTRAR: Exhibit 414.

32

33 EXHIBIT 414: *Curriculum vitae* of Dr. James
34 C. Woodey
35

36

36 MS. BAKER:

37 Q You have been retired since 2002, but you've
38 continued to work as a consultant and you've
39 continued to be involved in research involving
40 cyclic dominance and population dynamics of Fraser
41 River sockeye; is that right?

42 DR. WOODEY: Yes. I was more involved in the early
43 years after retirement, and in the last few years
44 it's been at a lower rate of involvement.

45 Q Thank you. I'll just move now to Dr. Walters.
46 Dr. Walters, you have a long history also in
47 salmon biology, correct?

1 DR. WALTERS: That's right.

2 Q And your c.v. has been provided to the Commission,
3 as well, and that should be found at Tab 2 of the
4 materials. And I don't know if you can see it on
5 your screen, but if not, I'll just try and
6 highlight some points from this lengthy resume.
7 You have been a Professor at the University of
8 British Columbia, since 1969; is that right?

9 DR. WALTERS: Yes.

10 Q And your work at the university is in Applied
11 Ecology and Population Dynamics; is that right?

12 DR. WALTERS: Yes.

13 Q And also dealing with Fisheries Population
14 Dynamics, et cetera?

15 DR. WALTERS: That's right.

16 Q You have been involved in a number of professional
17 activities which are set out in your c.v. at pages
18 3 and 4, and I don't think I'm going to go through
19 them orally, just to confirm that they are there
20 on your c.v. Your main research at the university
21 is in theories of harvesting and natural resource
22 management; is that right?

23 DR. WALTERS: That's right.

24 Q And you have authored many, many publications in
25 the area which are set out in your c.v., the last
26 -- well, there's a whole publications record,
27 which is how many pages long here, 13 pages long,
28 which is set out at the back of your c.v.; is that
29 right?

30 DR. WALTERS: That's right.

31 MS. BAKER: Okay. I'd like that c.v. marked, please,
32 as the next exhibit.

33 THE REGISTRAR: Exhibit 415.

34

35 EXHIBIT 415: *Curriculum vitae* of Dr. Carl
36 Walters

37

38 MS. BAKER:

39 Q Thank you. Now, I'll turn back to Dr. Woodey.
40 Dr. Woodey, before the Pacific Salmon Commission
41 was established in 1985, the IPSFC was responsible
42 for setting annual escapement targets; is that
43 right?

44 DR. WOODEY: That's correct.

45 Q And as Chief of the Fisheries Management Division
46 of the IPSFC, was that something you were
47 responsible for?

1 DR. WOODEY: Yes, during the time that I was the Head
2 of the Fisheries Management Section, but I was
3 involved in developing escapement targets as the
4 Assistant to the Assistant Director of the IPSFC
5 from the time that I was first employed with the
6 IPSFC in 1971. So I was involved for a period of
7 more in the order of 14 years, as opposed to just
8 being responsible for three or four years.

9 Q And we have been provided with a copy of a
10 forecast document and an escapement target
11 document prepared by the Salmon Commission --
12 actually, I think, well, this is in 1985. I'm not
13 sure actually if this was under the Pacific Salmon
14 Commission or the IPSFC, but if you can turn to
15 Tab 13 of the materials, you'll see a 1985 Fraser
16 River Sockeye Forecast document. And would this
17 be under the old Commission or the present Salmon
18 Commission?

19 DR. WOODEY: That would be actually produced in 1984
20 under the IPSFC.

21 Q Okay. Just prior to the transfer over.

22 DR. WOODEY: Yes, a year-plus prior to the transfer.

23 Q And the escapement targets are set out in that
24 document at page 58 in a table. Can you just
25 explain what this table shows us.

26 DR. WOODEY: The table is the combination of the pre-
27 season forecast, given for each stock, forecast of
28 four-year-old returns, in the second column, the
29 five-year-old, that would be what are termed
30 "5/2s", the "3" ocean fish going out in the first
31 year and "5/3s", the "2" ocean fish, well, after
32 two years in freshwater. Those would sum to a
33 total forecast, returned forecast. And then the
34 net escapement goal would be developed
35 independently of that forecast. And that all of
36 the stocks, the major stocks and many of the minor
37 stocks in the Fraser system were forecasted each
38 year, and this table would have been found in each
39 of the pre-season forecast documents.

40 Q Okay. Currently, forecasting is done under a
41 separate document from escapement targets, which
42 are produced and contained through another
43 process. This one document did both those things,
44 it contained both the forecast and the escapement
45 targets; is that right?

46 DR. WOODEY: That's correct. The escapement targets
47 were done separately, but as part and parcel of

1 the overall presentation of information to the
2 IPSFC, the Commissioners, so that they had both
3 the forecast in hand and the proposed net
4 escapement goal.

5 Q All right. How did you set the annual escapement
6 goals for the different stocks?

7 DR. WOODEY: The escapement goals were set in a number
8 of different ways. When I first became involved
9 in 1971/'72, the numbers of years of data that we
10 had to work with were very limited to roughly 20
11 years, because the racial analysis program that
12 identified the catches by stock and thus produce a
13 total return each year by stock was begun in 1952.
14 And therefore when I began working on this in the
15 early '70s, we had roughly 20 years of data. And
16 when we're looking at dominant line returns, we
17 would look at the data for the dominant lines
18 separately from off-lines. So we would end up
19 with relatively few data points, something in the
20 order of five or six data points, and that made
21 the estimation of net escapement goals somewhat
22 problematic because there wasn't a lot of
23 information. Now, of course, there's over 50
24 years of data available, and therefore even on a
25 single dominant line there's adequate numbers of
26 data points to be much more accurate in the
27 setting of escapement targets.

28 But the basic technique was a combination of,
29 by 1985, of running stock recruitment analyses on
30 the information that we had at hand, and if those
31 stock recruitment estimates provided optimum
32 escapement goals, then that would have been used.
33 More than often it would be a combination of the
34 estimates from the stock recruitment relationships
35 and historical data that might be available that
36 influenced our thinking on the setting of those
37 goals.

38 There are situations that in the time period
39 that some stocks were still in the rebuilding
40 phase and had not reached that point where
41 currently you could look back at that long term of
42 data and understand what the productivity of the
43 different lines, cycle lines, were or would be,
44 and thus provide better estimates of optimal
45 escapement. So it was not an unscientific
46 technique, but all different pieces of information
47 had to be brought into play to provide net

1 escapement goals.

2 Q The table that we see in front of us has an
3 escapement goal set for every stock listed, which
4 looks like there's about 18 or so. Would the
5 stocks be managed in that way on an individual
6 stock basis, or would the escapement goals be
7 aggregated in some way?

8 DR. WOODEY: Escapement goals were aggregated. We, in
9 fact I think it would be more proper to say, that
10 we were targeting the management toward certain
11 major stocks each year, the Early Stuarts,
12 certainly because it is a stock which comes in
13 fairly independently of the other stocks. In 1985
14 it was a dominant line year for Quesnel stocks,
15 Horsefly, Mitchell, and that stock grouping would
16 have been the primary focus of management during
17 the season. And then in other years, particularly
18 years that had strong late run returns, Adams,
19 Shuswap stocks, they would have been the target of
20 management.

21 In some cases the escapement goals that are
22 provided are essentially taken off the harvest
23 rate, which would have been needed to achieve the
24 escapement goal for the major stocks. So if we're
25 looking at a 70 percent harvest rate for Quesnel
26 stocks, we would set the goal for co-migrating
27 stocks, minor co-migrating stocks, essentially by
28 that harvest rate. So they may not have been
29 optimum harvest or optimum escapements for the
30 smaller stocks, but they were practical estimates
31 of what could be achieved.

32 Q And was the escapement goal designed to reflect
33 dominant cycles and subdominant cycles and off-
34 cycle years, or was it a goal that was set kind of
35 on an average across all cycle lines?

36 DR. WOODEY: The escapement targets would be set by
37 cycle line with the dominant line being unique,
38 some dominant line generally separated from the
39 others, and then the off-cycle lines for cyclical
40 stocks would be, if you will, relegated to going
41 along for the ride, type of thing, with the
42 harvest rates of the major stocks for that year
43 being the dominant goals.

44 Q I think it's 18 named stocks there, how are the
45 stocks which are not, the "Miscellaneous", I
46 guess, is how you've described them here, how did
47 you do the calculations for those stocks, or why

1 were they not broken out in the same way?

2 DR. WOODEY: In regard to the --

3 Q Escapement goals.

4 DR. WOODEY: -- escapement goals. Generally speaking
5 the escapement goals for the minor stocks and the
6 off-cycle lines of major stocks, such as Adams,
7 would have been set primarily by through the
8 estimates of what was likely to be the harvest
9 rates for the dominant stocks that year. And so,
10 as I say, if we were looking at a 70 percent
11 harvest rate for Quesnel, the minor stocks that
12 essentially were completely overlapped in their
13 timing in the marine areas and freshwater
14 migration would have been assigned close to that
15 escapement rate, and thus an escapement target,
16 which reflected that escapement or that harvest
17 rate.

18 Q If I could get you to just give me some
19 definitions, just to make sure we're all on the
20 same page in the next couple of questions. Can
21 you define what a "fixed escapement policy" is.
22 What does that mean?

23 DR. WOODEY: A fixed escapement policy would be where
24 regardless of the forecast for a particular stock,
25 the escapement goal would remain the same, perhaps
26 as estimated through a stock recruitment
27 relationship. In other words, it tended to give
28 us results where the particularly dominant
29 escapements on large stocks were relatively well
30 close together in all of the dominant line years.
31 And so am I -- maybe I got off on...

32 Q No, no, I just want if we use that term "fixed
33 escapement goal", or "policy", I just want to make
34 sure we understand what you're talking about when
35 we use that term.

36 DR. WOODEY: Yes.

37 Q Okay. Then the next question is, the same kind of
38 question, a definitional question, what's a "fixed
39 harvest rate policy", as compared to a fixed
40 escapement policy?

41 DR. WOODEY: The fixed harvest rate policy would be to
42 set the harvest rate or set fisheries which would
43 produce an anticipated harvest rate and fish that
44 at that level, regardless of the abundance of the
45 stocks coming back. So the variation between
46 cycle years would not influence the fishery
47 management that would produce in small return

1 years, smaller escapements, in large return years,
2 larger escapements, on that line. So you'd get
3 more variation in the escapement levels for an
4 individual stock over time.

5 Q What's the IPSFC management of Fraser River
6 sockeye during your tenure? Was it based on a
7 fixed escapement policy, or a fixed harvest rate
8 policy, or something else?

9 DR. WOODEY: It was generally more configured to be a
10 fixed escapement policy with the larger stocks,
11 the stocks that were the focus of management being
12 managed to achieve escapements for those stocks
13 that were similar on each of the recurring
14 dominant lines and such.

15 Q Did the IPSFC ever manage sockeye based on a fixed
16 harvest rate policy?

17 DR. WOODEY: No, we have not.

18 Q Once the setting of escapement goals moved to
19 Canada, a new method for setting those goals was
20 developed, and it's been described now as the
21 FRSSI model, the Fraser River Sockeye Spawning
22 Initiative. Well, first there was a rebuilding
23 strategy and then eventually it became the FRSSI
24 model. I just wanted to know if that was
25 something that you were involved in the
26 development of. I think you might have been
27 leaving the PSC right around the time FRSSI
28 started to be developed, so was that something
29 that you were involved in?

30 DR. WOODEY: I was not involved in any of the
31 development of the model. I was a participant in
32 the process that the FRSSI model people brought
33 together to get feedback on the work that they had
34 been involved in, development of the model.

35 Q And did you have any criticisms of the first
36 iteration of the FRSSI model?

37 DR. WOODEY: Yes, I did. I had concerns about the
38 model, the stock recruitment models that they were
39 utilizing in the FRSSI model, and that was because
40 the stock recruitment model, the Ricker model that
41 they had decided to use, had a tendency with low
42 harvest rates of building the offline stocks,
43 offline abundances of escapements, and in cyclic
44 dominant stocks producing by their simulation
45 modelling a more even production. And that was
46 from my point of view a misleading and erroneous
47 approach to the stock recruit modelling.

1 Q There was, we heard yesterday from Mr. Cass, that
2 in 2006 there was a workshop held to address the
3 topic of cyclic dominance. Were you part of that
4 workshop?

5 DR. WOODEY: Yes, I was.

6 Q And were the criticisms that you had of the FRSSI
7 model addressed following that workshop?

8 DR. WOODEY: Yes, they were. I would have to say that
9 the approach that I had taken and had written
10 about was a slightly different approach than what
11 the group as a whole decided would be the
12 appropriate way of approaching it, and that was to
13 have the FRSSI model use what's called a Larkin
14 model for all stocks on all lines. So that would
15 pick up the delay density dependence, that's a
16 characteristic of cyclic dominant stocks.

17 MS. BAKER: Thank you. Before I leave the topic of
18 escapement planning, I should have this 1985
19 Fraser River Sockeye Forecast document marked as
20 the next exhibit.

21 THE REGISTRAR: Exhibit 416.

22
23 EXHIBIT 416: 1985 Fraser River Sockeye
24 Forecast (IPSF)

25

26 MS. BAKER:

27 Q Now, Dr. Woodey, just to lead off on this notion
28 of cyclic dominance, I think it might be helpful
29 just to get again a definition from you, what does
30 that term "cyclic dominance" refer to? Can you
31 just give us some help on that.

32 DR. WOODEY: Cyclic dominance in Fraser River sockeye
33 is a natural, from my point of view, a natural
34 reproduction pattern that was found to be in place
35 in the early years of contact in the early 1800s,
36 and for most stocks became -- or I should say most
37 cyclic dominant stocks, became a pattern that when
38 we began managing fish, actively managing fish in
39 the '40s and '50s, was recognized as being the
40 state of nature and was the accepted norm. And
41 management from that point to the time that the
42 IPSFC was disbanded and in the early years of the
43 PSC, was recognized to be the norm.

44 Cyclic dominance involves one large return
45 year, the dominant line year; generally a
46 subdominant line year, generally that being the
47 year following the dominant year, and then two

1 years where the abundance is somewhat lower from
2 less than one percent of the dominant year
3 abundance to a few percent of the dominant year
4 abundance.

5 Cyclic dominance appears to be a
6 biologically-driven phenomenon, rather than a
7 fishery-driven phenomenon, although Dr. Walters
8 and a few others in the audience were involved in
9 writing papers regarding cyclic dominance that
10 were originally, or thought by some, to be the
11 consequence of the harvest strategy, harvest
12 management strategy. And it appears to me in
13 retrospect that the real conflict between
14 approaches occurred in the returns in the late
15 '60s, early '70s, where a happenstance of dominant
16 year failures and strong subdominant year returns,
17 gave the appearance that there might be a change
18 of dominance, and that the fisheries, IPSFC,
19 harvested down the subdominant year to retain the
20 dominant year pattern. And that fishery
21 harvesting, that high harvest rate that occurred
22 in those years, for 1967 and 1971, that from a
23 mathematical modelling point of view tended to
24 suggest that the harvest plan, the management of
25 the fisheries, was the cause of the cyclic
26 dominance, wherein going back we can see that
27 marine survivals were high on those subdominant
28 year lines for, in this case, Adams sockeye.

29 And it's right now we're undergoing the same
30 type of situation with the Horsefly, the dominant
31 line of the Horsefly or Quesnel system stocks, is
32 the 2009 line, and a low recruitment on that line
33 and thus low escapement in 2009 and the high
34 marine survival rate on the stocks in 2010, has
35 caused the subdominant line run of the Quesnel
36 stocks to be larger than the dominant line run.
37 So it's the same type of thing that we saw in the
38 late '60s, early '70s on the Shuswap stocks.

39 Q Thank you. Are all of the stocks on the Fraser
40 system stocks that show this pattern of cyclic
41 dominance?

42 DR. WOODEY: No, there's several stocks that are cyclic
43 that show cyclic dominance, all of these stocks
44 are located in the Upper Fraser. And the reason
45 for that is the more stable stream environments,
46 spawning stream environments, likely have given
47 stability to fry production and on the individual

1 lines, the big lines, and we get a very
2 proportion of the recruitment as four-year-olds.
3 And so those two things go together, that is, a
4 high proportion of four-year-olds and stability of
5 the system generates a condition that cyclic
6 dominance occurs.

7 In the Lower watershed, the stocks actually
8 take a survival strategy, producing much higher
9 proportions of "5s", five-year-old return fish, to
10 spread the risk over more years - or maybe Carl,
11 Dr. Walters, can provide a better terminology -
12 but it provides an insulation against catastrophic
13 loss due to high flows, and so on, in the streams
14 that are on the Coast, which are very unstable
15 from a standpoint of heavy rainfall events and
16 such.

17 Q So can you give us the names of -- would you like
18 to add something, Dr. Walters? Is that what I see
19 your finger in the air about?

20 DR. WALTERS: If Jim doesn't mind, do you?

21 Q No, that's fine. If you want to add in, that's
22 great.

23 DR. WALTERS: Let me add a point here about a little
24 historical point. Right around 1985 when you were
25 asking Jim to do those forecasts, we were doing
26 simulation experiments at UBC to try to figure out
27 how big the errors would be in estimating the best
28 spawning stock size given note of the few years of
29 data, like for each cycle line. And we discovered
30 to our horror that the statistical methods that
31 Jim and we had been using are grossly biased when
32 you do it by cycle line. The statistical model
33 will always tell you to keep the escapement near
34 where it currently is. It will always tell you to
35 maintain cyclic dominance, even if in fact it's
36 not optimum to do so.

37 That led to a series of analyses where we
38 used the Larkin and Ricker models to aggregate
39 across the cycle lines, and we concluded that it
40 was possible that the cyclic dominance had been
41 caused by fishing. We didn't assert that it was.
42 We said it was possible that it had been.

43 So we recommended deliberate experiments to
44 rebuild the off-cycle lines and that led to
45 considerable and bitter controversy. Jim was at
46 the time rightly very sceptical about those
47 experiments, but as I understand it, they

- 1 proceeded anyway. But it was not done on the
2 notion that the Ricker model was right. It was
3 done on the possibility that there had been severe
4 bias in the productivity estimates, because we
5 know that the statistical method would cause those
6 biases.
- 7 Q Okay. Just to clarify, the experiment to rebuild
8 the off-cycle years, is that the strategy that
9 we've heard about called the Rebuilding Strategy?
- 10 DR. WALTERS: That's right. The one that seems to be
11 failing, and that if we had paid closer attention
12 to Jim, and if we'd paid closer attention to other
13 long-term analyses done by Pacific Salmon
14 Commission staff, like Gilhousen, we probably
15 would not have recommended.
- 16 Q Okay, thank you. Back to Dr. Woodey. Just to
17 clarify, if you can help us with some names of the
18 stocks that are cyclically dominant that we would
19 be hearing about and ones that are not, just to
20 help us when we're looking at charts and things
21 and the stocks are laid out. If I understand it
22 right, the Shuswap, Quesnel, and some of the
23 Stuart stocks are cyclically dominant; is that
24 right?
- 25 DR. WOODEY: That's correct. There are other more
26 minor stocks in the system that do show cyclic
27 dominance, as well, but within the Shuswap there
28 are the Late run Adams, Lower Shuswap stocks, and
29 also Seymour and Scotch Creek, which are Summer
30 run fish, which show cyclic dominance. So the
31 tendency is that within one individual watershed,
32 most if not all of the stocks follow the same
33 pattern of recruitment, cyclic dominance.
- 34 Q And now you -- we had a bit of a discussion around
35 whether harvest rate or harvest strategies could
36 have created the cyclic dominance effect and it
37 sounds like that maybe has moved to one side.
38 Right now is there consensus in the scientific
39 community as to what the mechanism is for cyclic
40 dominance?
- 41 DR. WOODEY: I'm sure there's some debate still going
42 on. Our view of the world is that cyclic
43 dominance is a freshwater phenomenon, and it's
44 driven by the impact of one cohort or brood year
45 offspring, juvenile sockeye, and their, from my
46 point of view, consumption of the food resources
47 in the year that they're in the lake, and the

1 residual effect of that cropping on subsequent
2 cohorts of juveniles.

3 And when I say cohort, it's just the
4 juveniles from the dominant line spawning
5 affecting the food resources and that impacts the
6 subdominant line juveniles, and then the
7 subdominant line, or in some cases, a two-year lag
8 of impacts, dominant line juveniles impacting the
9 growth and the survival of subdominant and first
10 offline. So it's that delayed density dependence
11 within the freshwater environment that drives
12 cyclic dominance.

13 Q And the food, the nutrition factor that you've
14 just described is one of the hypotheses. I take
15 it there's a few other hypotheses, including
16 disease transfer and predation, or some other
17 biological hypotheses as to how this kind of
18 cyclic dominance is created; is that right?

19 DR. WOODEY: Yes, that's correct. Dr. Walters can pick
20 up the thread on some of these. The predation
21 model issue, from my point of view, which was, I
22 should say, which was the prevailing point of view
23 for many years as developed by Ward and Larkin,
24 Dr. Fred Ward and Dr. Peter Larkin, in a
25 publication in 1965, I believe, examining the
26 Shuswap run, Shuswap stocks. They concluded that
27 predation mortality was driving it, that is the
28 predators in the system ate a lot of juvenile
29 sockeye from the dominant line year, grew well,
30 had high fecundity and such, and their offspring,
31 the trout that were preying on the juvenile
32 sockeye, produced a lot of offspring that grew to
33 a size that they could prey on the subdominant or
34 generally offline year juveniles, and thus add to
35 the mortality rate.

36 And some of the work that I've done, and that
37 will be added to the next paper we have, indicates
38 to us that the cycling of the predators is not the
39 issue. It's just the predation rate, and the
40 depensatory, what is called depensatory predation,
41 where when there are few juvenile sockeye in the
42 lake, the predation rate goes up to a point that
43 it offsets the compensatory mortalities that you
44 generally find in sockeye. So where you would
45 expect the production rate on the offline years to
46 be better because the lower density would give
47 higher success of spawning, and/or egg survival

1 and such, to my way of thinking, the mortality in
2 the lake from the predators, it's just overcoming
3 that compensatory advantage and thus resulting in
4 fewer juvenile smolts going out, per adult, on the
5 offline years, and maintaining thus the cyclical
6 pattern, keeping a lid on the production on the
7 offline years.

8 Q Thank you. And did you have something to add, Dr.
9 Riddell?

10 DR. RIDDELL: Well, I may say you're touching on a
11 couple of really important points that maybe the
12 panel needs to try and help some level of
13 agreement on. Your first question was whether we
14 think that there's a biological basis to cyclic
15 dominance now. I think what Carl referred to
16 earlier in terms of the interaction between lines,
17 and Jim's comment, I would say that most people
18 now, or my opinion would be that most people
19 believe that there is a biological basis. We're
20 still trying to understand what it is. But I
21 think that the notion that it's maintained by
22 fishing is not accepted.

23 Now, the other point, Jim started off the
24 discussion about the productivity between years,
25 and he subsequently went to disease and predation.
26 Well, last week we talked in Stock Assessment
27 about our Fraser Lakes program conducted by the
28 Department. We do know that it's not as simple as
29 just food production between years, because we do
30 have data showing that the recovery of the lake is
31 certainly sufficient to produce food far in excess
32 of what would be required by the small number of
33 fish in the subdominant cycles. So the reduction
34 in the spawners is far, far greater than would be
35 required by the productivity available within
36 those lakes. So it's something more, or an
37 interaction of all these things together.

38 Q Okay. I guess, yes, Dr. Walters.

39 DR. WALTERS: Yes. I think a key kind of overview
40 statement needs to be said about cyclic dominance,
41 is that what it's about is the sockeye interacting
42 with the ecosystem. I agree, I've gone through
43 the zooplankton data myself, and I agree with
44 Brian Riddell, that Jim cannot be right about it
45 being only that part of the food web that's
46 interacting with the sockeye.

47 A key point here is that our models like the

1 Larkin model and others that we've tried to
2 produce to explain cyclic dominance should predict
3 that if we stop fishing we'll go back to something
4 like the populations were in the late 1800s, that
5 is, there should be a single very strong dominant
6 line, filling basically what we now understand to
7 be the carrying capacity to all the nursery lakes,
8 and then three very low lines follow on that, and
9 it should be synchronous across stocks, because it
10 was back then. None of our models predict that as
11 a recovery endpoint. None of them predict the
12 right response to not fishing any more, and that
13 means that there's something fundamentally missing
14 from all the models.

15 We certainly are missing whatever it is that
16 links across populations to cause synchrony, and
17 we very likely are missing top-down effects
18 associated with -- Jim's right, that trout
19 predation is not the answer either. There's
20 something like parasites or diseases that we're
21 missing entirely in our analyses. Another key
22 point is that there's very few -- very, very few
23 people have actually worked on this issue,
24 surprisingly few, considering how important it is,
25 and there's very few papers published about it,
26 very little real speculation, very little
27 fieldwork.

28 Q Okay. Did you have something to add, Mr. Wilson?

29 MR. WILSON: No.

30 Q We've sort of moved into the questions I had for
31 the panel, so this is working very well. One of
32 the next topics I wanted to just make sure we had
33 a handle on was this idea of a maximum sustained
34 yield. Again we'll start with Dr. Woodey. If you
35 could just give us a definition of what that is so
36 we know what we're talking about if that comes up.

37 DR. WOODEY: Yes, Mr. Commissioner, the concept of
38 maximum sustained yield has been around for quite
39 a long time. Dr. Walters is kind of the...

40 MS. BAKER: There's a battery change happening, Dr.
41 Walters, on a mike.

42 Q Okay. I think we're back in business.

43 DR. WOODEY: Mr. Commissioner, Dr. Walters is kind of
44 the expert in it. He's written books on it.

45 Q Okay. So maybe I'll pass it over to him.

46 DR. WOODEY: So in order to avoid embarrassing myself,
47 I should let Dr. Walters answer it.

1 Q Right.

2 DR. WOODEY: Or Dr. Riddell. But if I can give you my
3 view, maximum sustained yield is that average
4 harvest that maximize or the maximization of the
5 average harvest on a particular line in cyclic
6 dominant stocks. And for example, we actually are
7 looking for the escapement goal that will produce
8 those maximum yields, and that tends to be defined
9 by mathematical process of estimation. In using
10 the Ricker model, it's relatively simple. The
11 estimates of that maximum sustained yield point or
12 escapement in other models is more difficult.

13 But the other point I'd make to be sure
14 everyone is understand maximum sustained yield
15 point or escapement is not the point of escapement
16 which produces the largest run. It's the
17 difference between the necessary escapement level
18 in the return year and the return itself, that is
19 the yield, and maximizing that yield is not the
20 point of maximum return.

21 Q Did you want to add anything, Dr. Walters?

22 DR. WALTERS: Yeah. No, I think Jim's done a really
23 good job. The key point is that MSY is not a
24 simple single deterministic number that we
25 calculate for model equations. As Jim said, it's
26 the average yield, or average overall of the
27 variability that we expect to occur out there,
28 associated with the spawning stock that produces
29 the largest average surplus of new recruits over
30 those needed to replace the spawning stock.

31 It was discovered in the early 1970s that, in
32 general, maximum average yield is a better word
33 than sustained yield. Maximum average yield for
34 long periods of time is obtained by following a
35 fixed escapement policy, not a fixed harvest rate
36 policy, and not any other more complex rule.

37 So when you say you're managing with an
38 escapement policy, as you mentioned to Jim, you're
39 essentially trying to do an MSY or maximum average
40 yield management.

41 Q Okay. A couple of other preliminary questions.
42 Dr. Woodey, I understand that there's two kinds of
43 spawning systems in the Fraser watershed. One is
44 a spawning ground limited system, and one is a
45 lake limited system. Is that correct?

46 DR. WOODEY: Mr. Commissioner, the terminology here is
47 something that I've been thinking about and

1 essentially rationalizing in my own mind for a
2 number of years. There are systems in the
3 watershed that we could call small stream/large
4 lake systems, for example, Francois Lake in the
5 Upper watershed and Nadina River, and that's not a
6 small river, but a small quality spawning area.
7 There's a spawning channel on it now to increase
8 fry production and such, but you're putting
9 relatively few fry annually into a large lake, and
10 as such you don't get much density response in the
11 system. So in a sense the juveniles, whether
12 relatively few or the maximum number of juveniles
13 going into the system, you don't get much response
14 in terms of size. There's not any real sharp
15 drop-off in size of juveniles. So that's what I
16 call a spawning ground-limited system. The other
17 stocks that are in the watershed or systems might
18 be Chilko, which shows a relatively modest amount
19 of decline in juvenile size over the range of
20 abundance.

21 Then there are stocks or systems that are
22 what we may call lake-limited systems, where the
23 spawning area is good quality and large, and the
24 lake where physically may be large, but may not be
25 highly productive. And thus when you have high
26 densities of juveniles going into the lake, the
27 size that you have, the size that they attain is
28 relative to the abundance of adults in the
29 spawning population, and you can get severe drop-
30 off in juvenile size in those systems. And that's
31 been kind of the situation that we've had in the
32 Quesnel system, and I'd point to it as being the
33 characteristic lake-limited system in the
34 watershed.

35 DR. WALTERS: Can I add a point here?

36 Q Yes.

37 DR. WALTERS: It's a warning, really, to be very
38 careful about trying to talk about habitat limits
39 on these populations, and that's because there's a
40 tendency when you talk about -- when you try to
41 use them to establish population size reference
42 points, this population can be that big, that
43 population can be so big, as reference points for
44 measuring where the stocks are and how badly
45 they've been impacted by harvesting. The reason
46 that's very dangerous goes back again to the early
47 history of the populations, early before the

1 fishery got going. Well, we know the stocks were
2 exhibiting violent cycles, and those are not
3 predicted by habitat capacity. In fact, the best
4 estimate we have for total smolt rearing capacity
5 for the Fraser is about somewhere around 400
6 million smolts from the recent Wild Salmon Policy
7 analyses almost exactly predict the peak cyclic
8 populations observed in the late 1800s of around
9 40 million fish. They indicate in that these fish
10 were only successful at filling their habitats in
11 one out of four years. And the other three years
12 they were at numbers far, far below the habitat
13 capacities indicated by spawning or lake rearing.
14 So I don't think that habitat capacity measures or
15 arguments are either useful or relevant to
16 management of the sockeye. They're potentially
17 very misleading.

18 Q Dr. Riddell, have you got any response to the two
19 points you've just heard?

20 DR. RIDDELL: No, I think that I agree with the way Jim
21 has defined the habitats. But I think that our
22 thinking now is much more consistent with what
23 Carl has just said, that I like his terminology he
24 used, that you look at this within the context of
25 the ecosystem, because if it's a biologically
26 based cyclic dominance, yet we don't know the
27 actual mechanism, it's clearly not as simple as
28 habitat space and production. There is some other
29 ecological mechanism functioning that we need to
30 really investigate yet.

31 Q Mr. Wilson anything to add?

32 MR. WILSON: Yeah, I agree.

33 MS. BAKER: Okay.

34 THE COMMISSIONER: Ms. Baker, I wonder if I could just
35 ask the panel, including Dr. Walters, just so I
36 understand what you are addressing, you have been
37 going back to pre-contact behaviour of the
38 resource and post-contact behaviour of the
39 resource. But when you say "ecosystem", does the
40 science have adequate or sufficient knowledge of
41 the changes in ecosystem both pre- and post-
42 contact to be satisfied that your conclusions are
43 in fact driven by the right parameters. Do the
44 models reflect changes in the ecosystem to the
45 extent that you fully understand the elements that
46 you've just been describing with respect to
47 habitat and the other factors around whether it's

1 a biological cause or a post-contact impact cause,
2 or whether it's a harvest management issue.

3 MS. BAKER:

4 Q Dr. Walters?

5 DR. WALTERS: I think we can say pretty definitely that
6 the stocks were exhibiting violent cycles before
7 the fisheries became large enough to cause those
8 cycles. That's one of the really important
9 findings from the Gilhousen work, that there was a
10 cyclic pattern established by the early 1890s.
11 Not enough fish had been removed from the stocks
12 at that time to cause the cycle.

13 Now, the issue of whether we can use that
14 pattern to predict where the stocks would go under
15 very low harvest rates today, the issue is really
16 about whether the habitat structure out there or
17 the stock dynamics have changed enough to make
18 that early history irrelevant or not a good
19 predictor. And I don't see that there has been
20 such changes. I don't see that the habitat is
21 less productive than it was. That I don't see
22 that the stocks are less productive than they
23 were. So I see no reason not to use the stock
24 dynamics seen at the start of the fishery as a
25 pretty good model for what we would see under very
26 restrictive management.

27 Q Thank you. Dr. Riddell?

28 DR. RIDDELL: Well, I think Jim referred to even
29 earlier papers, and Carl referred to, there's
30 documents in the early 1800s with Hudson's Bay
31 Company and relations with the Interior First
32 Nations, or Tribes at the time, that there were
33 years of abundance and there were years of
34 scarcity. And I think that's important, so that
35 the cyclic dominance goes quite a long way back.
36 There's certainly consideration that some of the
37 First Nation fisheries through the 1800s were
38 substantial, but that did not stop or actually
39 control the cyclic dominant cycle. So I think
40 that that supports the notion that we have come to
41 that it's largely biologically based.

42 And I think really the reference, Mr.
43 Commissioner, to the models is one of saying that
44 we can investigate these interactions. We don't
45 have the knowledge of the biological interaction
46 that's functioning yet. So I don't know that we
47 could say that the exact same biological

1 interaction is limiting us today as it did before.
2 But certainly the observation that they're similar
3 and that the habitats still have about the same
4 capacity supports that cyclic dominance is a
5 biological feature that's been with us for
6 probably as long as we know, two or three
7 centuries.

8 Q And, Dr. Woodey?

9 DR. WOODEY: The part of your question, Mr.

10 Commissioner, was relevance to the models. And
11 the models that we have can only, with the current
12 set of environmental conditions in the lakes, the
13 productivities of lakes that we currently see, we
14 cannot go back and estimate what may have been
15 occurring in those systems 100, 200 years ago,
16 simply because we haven't collected any data, from
17 my point of view anyway. But if there have been
18 declines in productivity, then we're capturing
19 those in our models that we're currently using.

20 The question then becomes one of is the
21 productivity, the ecological productivity of the
22 system different than it was back then, and of
23 course there's different views on that issue.

24 MR. WILSON: Excuse me.

25 Q Sorry, yes, Mr. Wilson.

26 MR. WILSON: I would like to make a point. You know,
27 we go back to pre-contact and have a discussion
28 about what salmon populations might have been
29 like. I think we can most of us agree that
30 populations on average were larger and escapements
31 at some times were very substantial. We have, you
32 know, 40 million fish perhaps, but I've got a
33 quote here from Dr. Ricker that peak abundance in
34 Fraser sockeye might be as high as 160 million.
35 That was quoted by Northcote and Atagi. In those
36 years, cyclic or not, you would anticipate massive
37 escapements moving into the Fraser, and I don't
38 think it's reasonable to assume that those were
39 not important.

40 Prior to contact and intensive fishing, it's
41 likely that very large escapements were common.
42 And those escapements have an impact on the
43 freshwater ecosystem that may be quite profound.
44 There's very rich literature looking at
45 paleoecological data, sediment cores, the
46 importance of marine-derived nutrients to both the
47 productivity and carrying capacity of freshwater

1 ecosystems, benefits to streamside vegetation,
2 aquatic vegetation, the bears, the birds, the
3 general argument around ecosystem services. Now,
4 whether or not nutrient delivery plays a role in
5 cyclic dominance, I can't say. But it is likely
6 that nutrients arrived in very large amounts
7 periodically prior to the onset of fishing. I
8 think it's important to consider that in the
9 broader picture. Thank you.

10 Q Thank you. And, Dr. Walters, you had another
11 additional comment.

12 DR. WALTERS: Oh, let me just, lest you buy any of what
13 you just heard, let me point out that the most
14 violently cyclic dominant stock is the Shuswap and
15 the nutrients don't go into the lake.

16 Q And can you just explain why that is? Why does
17 the (indiscernible - overlapping speakers).

18 DR. WALTERS: Because the Adams River, where they
19 spawn, is right at the outlet of the lake. Those
20 nutrients go downstream. If they fertilized an
21 ecosystem, it will be a downstream ecosystem
22 filled with enemies of sockeye during their
23 migration. This business about lake fertility and
24 enhanced production because of lake fertility, can
25 be happening, and it certainly is happening, but
26 it's already measured in the stock recruitment
27 data. So in Quesnel, when we see higher
28 production out of the dominant cycle line, when we
29 observe that, we are observing it under nutrient-
30 enriched conditions on that cycle in. So it's
31 double-counting to pretend that there's some extra
32 benefits there that we wouldn't see.

33 And also if that natural system was
34 exhibiting the violent cycles documented by
35 Gilhousen and others, with one year of plenty and
36 three years very poor in between, it's really hard
37 to imagine that sockeye had a large and sustained
38 impact on much of the rest of the ecosystem. It
39 must have been a really nice to eat them when they
40 were around, but they could not have been
41 sustaining a much healthier or larger ecosystem if
42 they were such a rare component of that
43 ecosystem's diet, if you like.

44 MS. BAKER: Mr. Commissioner, it's 11:20. Should we
45 take a break now?

46 THE COMMISSIONER: Yes. Now, for Dr. Walter's sake,
47 are you going to keep him online, or...

1 MS. BAKER: I think we keep the link, but he can go and
2 walk around. So we'll have a 15-minute break,
3 come back in 15 minutes.

4 THE COMMISSIONER: Thank you very much.

5 MS. BAKER: Okay. Dr. Walters, you heard that?

6 DR. WALTERS: Gotcha.

7 MS. BAKER: Thank you.

8 DR. WALTERS: Fifteen minutes.

9 THE REGISTRAR: The hearing will now recess for 15
10 minutes.

11
12 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
13 (PROCEEDINGS RECONVENED)

14
15 THE REGISTRAR: The hearing is now resumed.

16 MS. BAKER: Thank you.

17
18 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

19
20 Q I have a question that is a pretty important
21 definitional term for the purposes of this panel,
22 so I'm going to ask each of the witnesses to
23 answer it, and I'll start with Mr. Wilson and I'll
24 move across the table and then end with you Dr.
25 Walters.

26 So the question is we're here on this panel,
27 we've called it an over-escapement panel. What
28 does over-escapement mean, and I'm going to start
29 with you, Mr. Wilson.

30 MR. WILSON: Thank you. As I was saying earlier, prior
31 to contact I think there's significant evidence
32 that salmon populations may have been
33 substantially larger in the Fraser than they are
34 now, and I think that these large and perhaps
35 cyclic returns were associated with very
36 significant nutrient inputs into fresh water on a
37 fairly regular basis.

38 I think these ecosystems, in all likelihood,
39 adapted to this periodic significant influx of
40 nutrition. It supported lake productivity, stream
41 productivity, and while we can have a debate about
42 exactly how those nutrients were used, they were
43 used.

44 Over-escapement really can only be understood
45 if we call it by its proper name, and I think in
46 this case, it's under-fishing. We're not
47 harvesting all the fish that have been identified

1 as surplus to the escapement goal using the kinds
2 of management models and processes we currently
3 use. But it shouldn't be construed as
4 biologically harmful in any way. I think it was a
5 natural part of the process, a natural part of the
6 ecosystem. If you look this year at the very
7 large returns to the Shuswap, we saw a
8 redistribution of spawning effort and large
9 numbers of spawners in lots of places in the
10 Shuswap where traditionally we haven't seen large
11 returns.

12 So if you imagine a world where these very
13 large escapements were commonplace, I suspect we
14 saw a different distribution of spawners, very
15 large escapements from freshwater areas, lots of
16 carcasses and nutrients that benefited, in all
17 likelihood, large sections of the Fraser
18 watershed.

19 So I guess, in sum, I'm simply suggesting
20 that under-fishing -- I know when I started with
21 the Department as a biologist, it was really the
22 only thing a management biologist could do to get
23 himself in serious trouble was to under-fish. If
24 you exceeded the escapement goal, you could get
25 yourself in trouble if it was a significant
26 overage.

27 So it's really a human yield argument, not a
28 biological or ecological argument. I don't think
29 there's much evidence to suggest that there's any
30 harm being done to the natural world by what are
31 clearly natural events, large escapements,
32 periodic or otherwise. It is a yield argument and
33 it's about how many fish we decide to kill. I
34 think it's fair to say that we don't harvest
35 salmon for the benefit of salmon. We harvest
36 salmon for the benefit of humans. Over-escapement
37 is exactly that. It's failing to take advantage
38 of the entire surplus as identified by people like
39 us.

40 MS. BAKER: Dr. Woodey?

41 DR. WOODEY: Over-escapement has had a negative
42 connotation in the industry and I'd say in the
43 biological community locally since the large run
44 and escapement of Adams River sockeye in 1958.
45 That, at the time, generated something in the
46 order of three-and-a-half to four million fish on
47 the spawning grounds, and the returns from that

1 spawning were some of the smallest on record.
2 That has never been explained carefully, clearly.
3 There were attempts to actually limit the numbers
4 of fish that entered the lower Adams River to
5 ensure that they were not -- that later spawners
6 not digging up the reds (sic) of earlier spawners,
7 things of this nature.

8 From a management point of view, over-
9 escapement is the level of actual escapement that
10 reaches spawning grounds. That's, in my context,
11 more than double the MSY point, so it would be
12 larger than what we call the "p max" or the
13 maximum -- the escapement level that produces
14 maximum returns on average. Some stocks show
15 fairly significant declining limbs of the Ricker
16 or a Ricker curve that's fit to the existing data
17 that suggests that in the Fraser watershed, over-
18 escapement can actually lead to a substantially
19 lower total recruitment from that spawning
20 population and thus it's not an insignificant
21 issue from the standpoint of future returns and
22 harvest.

23 So we're looking at over-escapement as being
24 a negative issue as it pertains to harvest in the
25 future.

26 MS. BAKER: Thank you. And, Dr. Riddell, what is over-
27 escapement?

28 DR. RIDDELL: Well, for the Commission, maybe we'll try
29 and put this fairly succinctly. I think really
30 what people are referring to is a significant
31 reduction in the return per spawner, which we call
32 the productivity when you have very large numbers
33 of spawners on a particular lake, in a lake
34 system.

35 I think both the speakers before are correct.
36 You put this in a yield context. This is about
37 production and we very commonly discussed
38 production within the context of the Ricker stock
39 recruitment curve. This is the dome-shaped curve
40 where you relate the number of spawners to the
41 subsequent number of progeny that return from that
42 spawning year.

43 There is a line in that relationship that is
44 equal to the -- "a" progeny returning per "a"
45 spawner, and we call that the replacement line.
46 So if you were to pick a point where people become
47 very concerned about over-escapement, it's very

1 likely to the right of the intersection of the
2 recruitment curve and the replacement line.

3 Because even in the absence of fishing, even
4 with that lost yield, it's implied by that, you
5 would still have a population that will decline in
6 the future. That would be what the expectation
7 would be if you had very large numbers of
8 spawners.

9 Now, Jim has just made a very important point
10 in all of this, I think, is that many times,
11 escapements that subsequently occur in a year will
12 be on a particular point that might be called
13 "MSY". But it's only the very large escapements
14 that should be probably at least twice the target
15 escapement that I think people would really become
16 concerned about the so-called over-escapement
17 where you would be projecting or predicting
18 significant loss of recruits per spawner. I'll
19 leave it at that.

20 Q And, Dr. Walters, what is over-escapement?

21 DR. WALTERS: When Brian and I were asked to write
22 about this for the Pacific Fisheries Resource
23 Conservation Council, we pointed out that there
24 are two definitions. One, the Alaskan definition,
25 I think people call it today, and that's allowing
26 escapement surplus to those needed to produce the
27 maximum average yield. The second definition was
28 a catastrophic collapse in recruitment of very
29 high spawning stock sizes.

30 We argued based on the evidence we had then
31 that there was little risk of that in the Fraser.
32 But subsequent to writing that report, two things
33 have come to light. One of them is additional
34 data collected during a period -- recruitments
35 from high spawning stocks during the late 1990s
36 and early 2000s. Another was Gilhausen
37 reconstruction of abundances in the late 1880s.

38 The newer data do provide stronger evidence
39 of over-escapement in the terms of the big
40 decrease in recruitment, most spectacularly for
41 the Chilko stock. Taken together with the
42 Gilhausen reconstruction, I think we have to now
43 admit substantially higher risk of severe stock
44 declines and severe cyclic population behaviours
45 under reduced harvest rates.

46 MS. BAKER: The point that was just raised by Dr.
47 Walters where he says that there can be an impact,

1 and pointed out Chilko as an example. So my
2 question is: Does escapement beyond this MSY
3 point that's been referred to in answer to the
4 first question, does escapement beyond that point
5 actually negatively impact the productivity of all
6 Fraser River stocks? Is that what you're saying,
7 Dr. Walters? I'll start with you.

8 DR. WALTERS: It certainly has impacted productivity of
9 particular stocks like the Chilko, the Adams and
10 the Quesnel. The data are pretty clear that the
11 highest recruitments to those stocks have been
12 produced at intermediate spawning stock levels,
13 not at the highest point stock levels.

14 I think what Gilhausen and the early data
15 warn us is that we also need to think about the
16 possibility that these effects have transmitted
17 across stocks, that the old mechanisms that cause
18 synchrony in the cycles across the stocks may be
19 reasserted. They may be in fact reasserting as we
20 speak. It may be that some of what we've seen in
21 the last four years, the very low production and
22 suddenly a very high production across several
23 stocks like the Chilko and Adams, it's indicative
24 that the system is trying to return to that
25 earlier synchronized mode where all the stocks are
26 showing high in one year, all the major stocks at
27 least, and then very, very low returns in between.

28 I don't think anyone wants to see that world
29 again. It's certainly not a world that would be
30 good for any of today's fishing interests, that
31 boom and bust or feast and famine world with only
32 one good year out of four.

33 Q Mr. Wilson, can I ask you to respond? There's
34 different points of view from where we started
35 with you that have been articulated. What's your
36 response to them, and also to the question that I
37 just ended up with, whether there is an impact on
38 productivity and, if there is, whether it's spread
39 across all stocks?

40 MR. WILSON: Well, clearly there's an impact on
41 productivity at the very high -- if productivity
42 is measured as returns per spawner. It certainly
43 impacts at very high spawner abundance. And I'm
44 not arguing the point that managing escapements is
45 important to maintaining human yield.

46 What I am suggesting is that if we go back to
47 the time pre-contact, when harvests were low,

1 populations were large and periodically very large
2 escapements, much larger than we've seen recently
3 certainly, may have been commonplace. This isn't
4 a problem for salmon. The salmon have adapted and
5 the systems have adapted to this natural periodic
6 influx of nutrients. I'm saying that from a
7 salmon's perspective, it's not a bad thing
8 necessarily. We don't understand all the
9 consequences of these sorts of large escapements.

10 If you broaden your frame of reference beyond
11 human harvest and the abundance of salmon alone,
12 I'm suggesting that it's an entirely natural thing
13 that these ecosystems have adapted to, and we're
14 now changing the world because we're trying to
15 redirect and have redirected for the last 100
16 years or so up to 80 percent of that nutrient for
17 human use. I'm not saying that's a bad thing, I'm
18 just saying that it's one thing to say that it
19 affects future yield to humans and another to
20 suggest that there's biological harm or ecological
21 harm that results from periodic large escapements,
22 whatever the consequences of that escapement might
23 be for future production.

24 Q If I could just pick up on something that we heard
25 from Mr. Lapointe when he was here earlier in
26 these hearings. He said that whenever you have
27 extremes in an ecosystem, an extremely high
28 abundance or an extremely low abundance, there
29 will be impacts. And he said it's not benign or
30 neutral to have a large escapement because it
31 affects not -- and even if you leave the human
32 element to one side, it will affect other species
33 in the ecosystem. For example, he gave an example
34 of where kokanee could be severely affected
35 because there would be a high number of juvenile
36 predators which were sockeye. So you could
37 radically diminish other animals living in that
38 system through high escapements. Do you have any
39 response to that?

40 MR. WILSON: Well, only to reiterate the point that
41 this is a human perspective. The ecosystem is
42 adapted and quite capable of using all the
43 nutrients that come in, in one way or another.
44 There's no wasted resources.

45 It does affect future yield, and it may
46 affect total productivity. But it's still part of
47 a natural process that occurred prior to contact.

1 The salmon were here when we arrived and I
2 suppose, by most accounts, we're in reasonably
3 good health. So the suggestion that they need us
4 around to kill them in order for them to maintain
5 healthy populations levels, I just don't
6 understand the logic.

7 Q So would you agree with Mr. Lapointe that there
8 could be ecosystem impacts, non-human impacts
9 though, impacts on other species from a very large
10 number of salmon on a system.

11 MR. WILSON: Well, sure. Obviously, any particular
12 event of that magnitude, millions and millions of
13 spawners arriving all at once, dying and
14 disappearing into the lake, will benefit many,
15 many organisms, and may be a disbenefit to others.
16 I mean, ecosystems are highly dynamic and they're
17 under a constant -- they're in a constant state of
18 change.

19 I'm simply suggesting that this whole issue
20 of over-escapement is seen through the lens of
21 human interest, and that from an ecological
22 perspective, it's very difficult to make the
23 argument that large escapements are necessarily
24 bad.

25 Q Dr. Woodey?

26 MR. WILSON: Dr. Walters is waving his hand.

27 MS. BAKER: Oh, can you hold your thought for a minute,
28 Dr. Walters, and I'll ask Dr. Woodey and Dr.
29 Riddell to answer and then we can come back to
30 you.

31 DR. RIDDELL: He's frozen anyhow.

32 MS. BAKER: He's frozen anyhow. Dr. Woodey?

33 DR. WOODEY: The concept of over-escapement,
34 particularly in the Quesnel system in the last ten
35 years has raised a number of issues that pertain
36 to the management of the fisheries, and we won't
37 get into the cause of the over-escapement, but
38 it's something that's got to be part and parcel of
39 the overall analysis here.

40 But the over-escapement in 2001 and 2002
41 gave, in the Quesnel system, at least double if
42 not more fish on the spawning grounds than what
43 our MSY estimates of escapement would be. So
44 we're talking three-and-a-half million and three
45 million in those two years as opposed to more MSY
46 levels of escapement of a million-and-a-half to
47 two million on the dominant line, and probably

1 more of the million to a million-and-a-quarter on
2 the subdominant line. So we're two to three
3 times, and the Quesnel system is a -- Quesnel
4 Lake, the juvenile size dropped precipitously --
5 well, dropped on the dominant line juveniles and
6 precipitously on the subdominant line juveniles.

7 So we're getting a crash in the system Part
8 of that carrying over -- now, that was returns in
9 2005 and 2006. We hit the 2009 situation with the
10 dominant line essentially has decreased to an
11 escapement level in 2009 partly on this very low
12 marine survival of only 150,000. So we went from
13 three-and-a-half million escapement to 150,000 in
14 two cycles, eight years.

15 The rebuilding of the Quesnel system, if
16 that's an objective that's adopted by DFO in order
17 to -- let me step back and say that in the 20-year
18 period prior to that, the Quesnel system was the
19 largest producer of sockeye in the watershed. So
20 we've essentially lost, for the time being, the
21 largest producer which has got to be viewed as
22 part and parcel of the lower productivity of
23 Fraser stocks in this last ten-year period.

24 So the rebuilding of those stocks in the
25 Quesnel system will take time, and it will also
26 require that a lower harvest rate continue for
27 some time on those years that the
28 dominant/subdominant line return. So there's
29 consequences in the management of the fishery that
30 are totally independent of ecological and
31 ecosystem issues. But it's also bringing us back
32 in the productivity of the system and production
33 per catch, et cetera, for all user groups, back to
34 a time well before the higher productivity that
35 we've seen in the 20 or 30 years prior to now.

36 Q Thank you. Dr. Riddell?

37 DR. RIDDELL: I was just going back to your first
38 question. If you're talking about the effect
39 across all populations and would it affect
40 productivity, well, I think the answer that we
41 would all give is yes. But it has to be taken in
42 a broader context, because the Ricker stock
43 recruitment curve alone predicts that you'll have
44 a lower productivity as the population gets past a
45 certain point in terms of numbers of spawners.

46 So the real issue is one of what we're
47 talking about before and how you define over-

1 escapement. Carl referred to two contexts which I
2 would agree. One is the potential loss in yield
3 per number of spawners there, but the other is
4 this notion of long-term viability of the
5 populations. Carl then went on and talked about
6 Chilko as an example of that, and it's one that
7 I've been looking at recently because the other
8 thing that Carl didn't refer to is that it's a
9 unique situation, the Chilko, where we have the
10 smolts enumerated. The smolts are being quite
11 productive. We're getting some of the best smolt
12 production in recent years, and yet we're not
13 seeing the marine survival.

14 So I think this other issue that we really
15 have to be aware of now for the future is what are
16 these common factors between the populations
17 within the Fraser and where is that actually
18 happening? How is that functioning?

19 But I'm not sure that it's simply on the
20 spawning grounds in Chilko. The other data
21 doesn't seem to support that.

22 Q And finally back you, Dr. Walters?

23 DR. WALTERS: Yeah, well, let me make two things.
24 First, the biodiversity in the Fraser sockeye
25 system is devastated by the Hell's Gate disaster
26 and logging dams and some other things back around
27 the turn of the century. We had hoped that
28 increasing escapements would enhance
29 recolonization in some of the areas from which
30 stocks had been lost, but what seems to have
31 actually happened was that recolonization occurred
32 most rapidly during the periods of very high
33 exploitation, '50 to 1980, around in that time.

34 I think the big escapement this year to the
35 Adams did see a lot of fish dispersing out to
36 other areas, but it also taught us that that isn't
37 necessarily good at all from the standpoint of
38 biodiversity. In most of the spawning streams
39 around the Shuswap, fish need to spawn in early
40 summer. They're part of the Early Summer run
41 complex. They need to spawn early because those
42 streams are cold and they need to have longer egg
43 development times in them.

44 Just a few stocks like the Adams River
45 *13:03:29 is the best spawn timing later. But
46 when a large number of those Adams fish spread out
47 into the streams where fish need to spawn earlier,

1 they are in competition with those earlier
2 spawning fish and they -- if they mate with those
3 earlier spawning fish, they'll produce offspring
4 that are less fit.

5 So, in fact, some of this dispersal that
6 people talk about and recolonization and increase
7 in biodiversity, increased escapement maybe have
8 just the opposite effect of what we would hope.

9 The other thing is that one of the lesson, as
10 Brian point out in the Chilko, the Chilko
11 escapement went up dramatically in 2000, and we
12 had a period of high escapements that didn't
13 produce higher returns, but returns remained
14 normal for a few years, and then there was a huge
15 drop in survival. That really feels like the high
16 escapements and high smolt -- high rearing
17 densities and the like, stimulated something to
18 develop in the lake that is now killing Chilko
19 smolts after they leave the lake, at very high
20 rates. Our best candidates for such a "something"
21 is parasites and diseases.

22 I got a grad student to go through and look
23 at a large number of Chilko smolts collected over
24 the years at the Chilko fence, and she found
25 really high parasite loads in those smolts, higher
26 than had been found in other stocks. It's quite
27 possible that high escapements, combined with
28 fertilization of Chilko Lake, led to a dramatic
29 increase in parasite loads being carried by those
30 fish, and that that's what's killing them at such
31 higher rates now as you've heard about from Scott
32 Hinch's tagging study and so on.

33 We really need some serious basic research on
34 mortality agents in the freshwater system, and how
35 those may be carried later in the lives to cause
36 mortality after they leave the fresh water.

37 Q Thank you. I take it that kind of work is not
38 being done currently by the Department of
39 Fisheries and Oceans?

40 DR. WALTERS: Not that I'm aware of.

41 DR. RIDDELL: Well, I can add a bit to it and I'm no
42 longer really all that in touch with exactly what
43 they're doing, but there is work going on, on fish
44 health. There is sampling that goes on. Dave
45 Patterson probably referred to some of this work.
46 Is it a dedicated research program? I don't think
47 so at this time. I think it's more of a sampling

1 program. As we've talked about in the past, we
2 are continuing to do the work on the sonic tagging
3 of Chilko smolts.

4 It turns out to be an excellent choice, but I
5 had to admit it was more about a matter of
6 convenience because they have very large smolts
7 that you can actually put sonic tags in. So it's
8 an ideal opportunity of chance, I guess.

9 Q Thank you. The next question I have, it's a
10 slightly different complexion. We talked a little
11 bit earlier about delayed density dependence
12 effects. Dr. Woodey talked a little bit about
13 that. Does that effect apply to all stocks? Is
14 that something that occurs in all stocks? Sorry,
15 I'll start with you, Dr. Woodey.

16 DR. WOODEY: To my view of the world and looking at the
17 data that we have, not all stock show this delayed
18 density dependence, and that may be simply because
19 of some of the things that I was mentioning
20 earlier as Dr. Walters and Dr. Riddell have
21 commented upon, and that is there are stocks that
22 are small spawning stocks in big lakes, and they
23 don't show this density effect on the growth.
24 When you mathematically look at the productivity
25 of the stocks, there's no evidence of carryover of
26 the effects onto subdominant and off your -- that
27 doesn't necessarily mean that there's no
28 biological effects that are being expressed
29 sufficiently to give you an impact, but it's not
30 measurable from the data that we have.

31 Some of the more dramatic delayed density
32 dependence that we've found are in the Quesnel
33 stocks, and I was mentioning this. Two large year
34 escapements, the subdominant juveniles, even
35 though they were theoretically pure juveniles,
36 'cause they were purer adults than the dominant
37 year, 2002 brood, their size dropped considerably.

38 So that seems to me to be the key diagnostic
39 for delayed density dependence, that if you see a
40 pattern in the data that shows that there is an
41 impact of the large dominant year on the
42 subsequent subdominant, or even in later years.

43 Q Thank you. Dr. Walters?

44 DR. WALTERS: When we first fit these Larkin models,
45 the delayed density dependence models within the
46 late 1980s, and the models fit better than the
47 Ricker model, and we thought, ah, but they predict

1 such crazy violent dynamics, it can't be right.
2 Then over the years as data have accumulated,
3 and most spectacularly last year when the Grant et
4 al population analysis for the Wild Salmon Policy
5 came out, it was really surprising to see most of
6 the stock showing fairly convincing statistical
7 evidence of delayed density dependence, that is,
8 the Ricker model fit substantially better than the
9 Larkin model and certainly predicting much more of
10 the decline in survival since 1990, than does the
11 Ricker model.

12 So what I --

13 Q Sorry, can I just interrupt for one second?

14 DR. WALTERS: -- (indiscernible - overlapping speakers)
15 not only mounting statistical support for the
16 existence of delayed density dependence, but that
17 also is showing up in a lot of stocks for which we
18 wouldn't have expected it.

19 Q I just wanted to clarify. I think you might have
20 reversed the names of two models there. It's the
21 Larkin one that shows the delayed density effect,
22 or did I get that wrong?

23 DR. WALTERS: Yeah. Just to explain there, the Larkin
24 model is a statistical model where we put in terms
25 in a statistical relationship for possible delayed
26 density effects and then let the statistics tell
27 us whether or not those terms are likely to be
28 different from zero, likely to be statistically
29 significant we say.

30 In the early days, it was only a few stocks
31 that showed statistically significant evidence of
32 density dependent -- actually, none of them. But
33 now, as I said, the FRSSI modelling analysis and
34 the Wild Salmon Policy analysis show it for most
35 stocks. It's possible that this is an artefact of
36 confounding between the effects of population
37 density and other things that are causing
38 declining survival, coincident with high spawning
39 stocks. But it's getting harder and harder to
40 explain the patterns away as statistical artefacts
41 of that kind.

42 Q Thank you. Dr. Riddell?

43 DR. RIDDELL: I don't think I have anything to add to
44 this.

45 Q Okay. Mr. Wilson?

46 MR. WILSON: I have no comment.

47 THE COURT: Thank you.

1 THE COMMISSIONER: Ms. Baker, can I interrupt just
2 briefly just to ask this question?

3 The panel members, fortunately I think for
4 us, span the history from the pre-Pacific Salmon
5 Commission to the current Pacific Salmon
6 Commission and the management of the fishery
7 throughout that period of time. In the FRSSI
8 model that Mr. Wilson and other members of the
9 panel spoke about yesterday, the terminology used
10 in one of the documents that I read was developing
11 an optimal escapement strategy.

12 I just want to make sure I understand from
13 all of your perspectives, going back from those
14 early years, perhaps pre-1985 to the current time,
15 whether the research that's being done and the
16 understanding of the models, or pre the models,
17 focused on conservation as the optimal escapement
18 strategy, or whether it shifted from conservation
19 to harvest as an optimal escapement strategy or
20 whether there's a hybrid or a balance between
21 those two, and how all those -- how's the research
22 -- what is the fundamental underpinning of the
23 research? Is it around conservation of all of the
24 stocks in the watershed, or in a mixed-stock
25 fishery, does it take a different shift in terms
26 of the optimal escapement strategy?

27 I'm just trying to understand where you're
28 all coming from in terms of the conservation
29 element and the harvest element which I think, Mr.
30 Wilson, gave a good kind of photograph there of
31 pre-harvest to post-harvest. Where is the
32 emphasis? What underpins the strategies in the
33 Larkin model, and where are you now placing the
34 emphasis in terms of the answers you're giving to
35 Ms. Baker when it comes to this description of
36 something called over-escapement, which I think
37 Mr. Wilson said was really under-fishing.

38 I'm just having a little bit of difficulty
39 following the underpinning of your answers.

40 MS. BAKER:

41 Q Why don't we start with Mr. Wilson and we'll go
42 across the panel.

43 MR. WILSON: I think I understand the general argument
44 that yield is greatest at some particular average
45 escapement that minimizes competitive effects and
46 is more in tune with the average capacity of the
47 environment. I think there are some really

1 important things that are external to these models
2 that need to be considered. We're not simply
3 trying to maximize harvest, in my view, when we
4 manage salmon. We're trying to conserve the
5 resource, we're trying to keep small stocks in
6 reasonable levels of abundance, we're trying to
7 address the harvest needs of First Nations, which
8 are unique, and there a whole range of social and
9 even spiritual values that have to be addressed in
10 the management of salmon.

11 These MSY models take a very particular view
12 of the world. If you look at the data on which
13 they're based, it's highly variable. As Dr.
14 Woodey pointed out, in many cases they show little
15 indication of declining productivity at large
16 escapements, at least over the range of
17 escapements that we've observed. In other cases,
18 there's a very clear relationship, and Chilko
19 might be an example.

20 So when you're harvesting a large stock that
21 shows this effect, you might want to harvest it
22 fairly hard. Unfortunately, it's commingled in
23 the fisheries with large numbers of stocks that
24 may not show those effects, and it may not
25 benefit from being harvested, if you want to put
26 in that respect.

27 So it is a compromise. It's not that
28 conservation comes first and we deal with
29 conservation and then harvest comes second. We're
30 compromising constantly in harvesting the yield
31 from the strong stocks, trying to protect the weak
32 stocks and trying to grapple with values that are
33 clearly external to our models but important to
34 people.

35 Q And Dr. Woodey?

36 DR. WOODEY: Mr. Commissioner, the history of the
37 management of Fraser River sockeye goes back
38 certainly -- when I say management of the fishery,
39 I'm talking about managing the times and places
40 that fishermen are allowed to harvest sockeye.
41 The treaty between Canada and the U.S. that
42 established the IPSFC was signed in 1937. The
43 staff was established in 1938, but part of the
44 agreement that U.S. had started, it was to collect
45 data for eight years before taking management
46 responsibility in 1946.

47 At that point in time, most of the stocks,

1 except for the Shuswap/Adams stock, most of the
2 other stocks were in a depleted situation because
3 there had not been much conservation efforts. The
4 IPSF closed the fishery in the first half of the
5 year completely for four years to try to rebuild
6 those stocks, conservation, rebuilding and so on,
7 and built the fishways at Hell's Gate and Bridge
8 River rapids and so on, and started the collection
9 of data.

10 Then there was a noticeable shift in
11 objectives after that to harvesting, but the
12 development of optimal escapements was very
13 tenuous for many years simply because there was
14 very little data that could be used that if the
15 stock hadn't grown to a point of reaching that MSY
16 point, or optimal yield point, and therefore they
17 were being harvested, perhaps from a retrospective
18 view, harvested too intensely in some cases.

19 But through that whole period of time up
20 until the PSC treaty was signed in 1985 and the
21 Fraser River Panel took responsibility in 1986,
22 the smaller stocks and off-year abundances and
23 many of the larger stocks increased substantially.
24 I wrote a paper in about 1990 looking back at that
25 process, and it was really convincing that there
26 had been, really, a rebuilding of the stocks and
27 that conservation was in fact the first objective
28 for most cases, but that when you're starting
29 getting the stocks rebuilt, then harvest became a
30 vital part of that overall management strategy.

31 But when we and DFO - I'm not speaking for
32 DFO - but have been managing the fishery in the
33 more modern times, from the '80s on, whenever
34 there's been a lower recruitment of adults because
35 of marine conditions or whatever, the first thing
36 to go is catch. I remember the difficulty of
37 closing the fisheries in 1995 and '99 and then the
38 Fraser River Panel had to do that in '99, and then
39 during the '90s and some of those years.

40 What we haven't discussed in part of that
41 whole issue is, of course, the changing
42 environmental conditions that the fish were
43 facing. You've heard about some of that I'm sure.
44 But the demands have always been to try to ensure
45 that escapement, viable spawners reaching the
46 spawning grounds as a primary objective, and
47 sometimes that means that there isn't much, if

1 any, catch taking place. Fishermen are being held
2 hostage, in a sense, to the reproduction dynamics
3 of the fish.

4 Q Dr. Riddell?

5 DR. RIDDELL: Mr. Commissioner, if you didn't
6 appreciate it, you've asked a huge question.
7 That really was pretty much the whole essence
8 rolled up.

9 I think your use of the evolution is a good
10 analogy 'cause our understanding is always
11 evolving, which we would certainly hope with the
12 science programs. But I think that your contrast
13 of harvest to conservation is actually not really
14 what we try to accomplish anymore. There's no
15 question there's been a change over time from a
16 primary harvest and largely in the commercial
17 fisheries, because of the abundance of fish, and
18 now of course there is a stronger concern about
19 biodiversity around the world. In particular, we
20 have concerns about conservation for some
21 populations in the Fraser River. So there has
22 been a significant change in how these things are
23 actually used.

24 Our understanding of what we're talking about
25 in over-escapement really has to be considered in
26 terms of the population dynamics within a
27 population, because it does relate to the habitat
28 capacities and characteristics of a particular
29 lake and so on. That understanding has really
30 changed quickly, and this, I think, is the main
31 point that -- I saw Carl's presentation at SFU a
32 few months back now, which was a very nice
33 representation of how our thinking about
34 population dynamics and appropriate models has
35 changed through time.

36 I think that it's fair to say that the Larkin
37 model that we're referring to now, which really is
38 an interline expansion of the Ricker model. With
39 that, that understanding has evolved really only
40 in the last maybe couple of years. Carl has done
41 some work and Carl's referred to the work that the
42 Science Branch has been doing.

43 What we're really confronted with now is that
44 the Wild Salmon Policy is now the basic salmon
45 management framework. That has four principles.
46 It doesn't say that it's conservation only. It
47 has four principles that are conservation, respect

1 for First Nation rights, sustainable fishing and
2 transparency. The transparency element is to
3 include users in making decisions and
4 understanding what the decisions are based on.

5 So, really, I think now it's a much more
6 complicated world unfortunately because, in the
7 broadest context, our goal is maximum -- well,
8 optimal benefit really is what we're talking
9 about. It's not one objective anymore. We try to
10 maximize production for fisheries, and at the same
11 time, there are requirements to meet First Nation
12 needs in the river. There's requirements to
13 sustain the conservation units and we need to
14 involve user groups more. Later in the
15 presentation, hopefully we'll talk about how to do
16 this better in the future.

17 Q Thank you. And Dr. Walters?

18 DR. WALTERS: Yes, all of our analyses are based on the
19 presumption of sustainability. We would not have
20 a model put harvest -- allow a lot of harvest if
21 it meant a large loss of production in the future.

22 The controversies come over three issues.
23 One of them is whether to stabilize the
24 exploitation rates in order to stabilize fishing
25 opportunities, which sometimes results in under-
26 escapements, and sometimes in over-escapements and
27 reduces the yield a bit. That's being done in
28 some fisheries. It certainly is better for
29 industry although it loses biological yield.

30 Another fundamental issue concerns the new
31 fitting of the Larkin models which indicates much
32 lower escapement goals than most of us are
33 comfortable with. For example, we've almost
34 entirely avoided fishing the Early Stuart for the
35 last several years. With escapement goals in the
36 order of 100,000 to 160,000 fish, the Larkin model
37 says we should only be allowing about 30,000
38 spawners a year, and that productivity will
39 increase substantially, the fish will do well.

40 Then the third problem is protection of weak
41 stocks that are harvested together with the big
42 ones. Our classic example of that is the Cultus.
43 The Cultus problem isn't a recent problem. Cultus
44 stock started to decline in 1970, and have been
45 declining every since then. The basic reason for
46 that was the development of the Weaver Creek
47 spawning channel that dumps very productive stock

1 into Harrison Lake, and was discovered in the '70s
2 to be capable of producing yields of about 300,000
3 sockeye a year, every year, a four-year cycle, in
4 the Late run.

5 So fishing targeted at it on the Late runs,
6 the high exploitation rates to take that enhanced
7 production, did in the Cultus. By 1980, we were
8 looking at the Cultus *13:27:34 and saying if you
9 keep fishing at these high rates, that Weaver can
10 withstand, to get those 300,000 Weaver fish on
11 average a year, you will drive the Cultus stock
12 extinct.

13 Well, it's very clear that it couldn't take
14 the exploitation rates and was collapsing. At
15 that time, my recollection is that there was an
16 explicit shrugging of the shoulders decision to
17 write off Cultus. I suspect that from an
18 economic, pure economic point of view, if we were
19 to look at the value of the 300,000 Weaver fish
20 that we can catch each year, and compare it to the
21 50,000 that we could ever catch, with luck, from
22 Cultus, that that write-off was not a bad
23 decision.

24 But that's the kind of trade-off we're facing
25 in the biodiversity part of your question, is
26 whether it's worth trying to protect these small
27 stocks, the small and unproductive stocks.

28 DR. RIDDELL: Can I make a point?

29 Q Yeah.

30 DR. RIDDELL: Carl, I read that comment you just made
31 about a conscious decision to not protect Cultus
32 in the early '90s in one of the other papers I
33 read. I have to admit I have no recollection of
34 any such discussion and that, so before we leave
35 that as a matter of record, is there any way -- I
36 really have no recollection of any such
37 discussion. And, at the time that we're talking
38 about, it would not have been an easy discussion
39 in any way.

40 So I'm really concerned --

41 DR. WALTERS: No, no, it was more a shoulder-shrugging
42 in a couple of meetings. The context for that was
43 when policy and planning, Al Wood and others, were
44 looking at the whole business of the impact of
45 salmonid enhancement in general on wild stock.
46 The Cultus case was held up as a really good
47 example of where having an enhanced stock being

1 fished together with the wild stock could very
2 well result in disappearance of the wild stock.

3 In that case, I remember sitting around
4 tables where people shrugged their shoulders and
5 said, well, we can't give up those 300,000 fish
6 just to protect a potential catch of 50,000.

7 I don't know. Jim, can you speak to this in
8 terms of the Commission's decisions about what to
9 do when the Cultus started to decline in the '70s?

10 DR. WOODEY: Yes, Mr. Commissioner, there's no doubt
11 that the IPSFC, which built the spawning channel
12 on Weaver Creek and was desirous of harvesting
13 those fish, particularly on the non-Adams years,
14 so there'd be two years of dominant/subdominant
15 Adams, and Adams would drive the management the
16 other two years, and the Weaver stocks often were
17 large enough to drive the management of the
18 fishery.

19 At some point in time -- well, a few years
20 back, the Schubert circulated a memo that I wrote
21 back in 1980 or so, or '70s, that addressed that
22 whole issue. But it was a situation that the
23 Cultus actually hit a low point in what would be
24 the early '80s. So it hadn't plateau'd out. It
25 wasn't going extinct, but some lines were very low
26 in abundance.

27 The real problem with Cultus now is not
28 harvest. It's the early upstream migration and
29 mortality of Late run sockeye which, in my
30 thinking, is the elephant in the room. With your
31 inquiry, that is the thing that has dominated the
32 management that has caused over-escapement on
33 Summer run stocks, and yet has been so pervasive
34 to reduce the productivity of Late run stocks,
35 that it has got to be seen as being part and
36 parcel of the real problem here.

37 When I talk about that, I get blank looks
38 from a lot of people because they haven't been
39 involved.

40 The beginning, the story is, briefly,
41 beginning in the mid-90s, the Late run sockeye
42 started migrating into the river earlier than they
43 had been in the past. Normal behaviour would be
44 that they'd arrive in the Strait of Georgia from
45 the first week -- after the first week of August
46 and the first week of September. They'd delay
47 there for three to six weeks, then they'd migrate

1 up the river to their spawning grounds and spawn.
2 But beginning in the mid-90s, the upstream
3 migration, and every year - and I'll say this
4 publicly - every year from 1995 to today, Late run
5 sockeye have migration behaviour pattern which is
6 atypical compared to the 50 years prior to that,
7 that we have records. The managing of the
8 consequences of that early upstream migration and
9 mortality of those fish has been the key
10 management issue that has consequently affected
11 Cultus, in particular.

12 I don't know how much you've --

13 MS. BAKER: Well, I think we might touch --

14 DR. WOODEY: -- heard about all of that, but some of
15 what we're seeing now is a consequence of those
16 issues, and should be discussed very clearly.

17 MS. BAKER: It's 12:33. We were going to talk about
18 that issue that you've just raised later in my
19 questions, so maybe we'll come back to that after
20 the lunch break.

21 So we'll be breaking for an hour-and-a-half,
22 Dr. Riddell. We'll be back at two o'clock our
23 time. Sorry, Dr. Walters.

24 THE REGISTRAR: The hearing is now adjourned till two
25 o'clock. I believe that will be five o'clock your
26 time, Dr. Walters.

27 DR. WALTERS: Yes. I think I'll shut off my phone and
28 I'll ring back in at...

29
30 (PROCEEDINGS ADJOURNED FOR NOON RECESS)
31 (PROCEEDINGS RECONVENED)
32

33 THE REGISTRAR: Hearing is resumed.

34 MS. BAKER: Thank you.
35

36 EXAMINATION IN CHIEF BY MS. BAKER, continuing:
37

38 Q Dr. Riddell, we've been using some terms in
39 today's testimony, weak -- small stock and weak
40 stocks. Are small stocks all weak stocks or is
41 there a distinction to be made there?

42 DR. RIDDELL: I think that's an important distinction,
43 that we tend to talk about weak stock management
44 and small stocks don't necessarily have to be
45 unproductive, and really the issue is if it's very
46 small, it's at risk of a number of random events,
47 whether it's fishing-related or it's a habitat

1 event or something, so small is at greater risk.
2 A small stock, though, in particular a lake, if
3 it's depressed for some reason but has the
4 capacity, it can still be fairly productive and
5 sustain reasonable harvest rates. It's a matter
6 of how fast it would recover. So what you're
7 really most concerned about is a small population
8 in a relatively unproductive habitat, and that is
9 at substantially greater risk than something that
10 is just small but is also productive. All right?
11 So weak does not imply that it's necessarily small
12 and unproductive. It could be small and
13 productive.

14 Q Sorry, a small and productive would be considered
15 a weak stock?

16 DR. RIDDELL: Well, it's still numerically small, so it
17 still has a risk element.

18 Q Okay.

19 DR. RIDDELL: Some of the populations are quite small,
20 maybe in a few thousand animals and so an event
21 poorly timed or a large fishery when they happen
22 to be present, right, for no reason other than all
23 the population was there, it could be severely
24 damaged. So small is at risk generally. A small
25 unproductive stock could just have cumulative
26 effects over time.

27 Q Okay.

28 DR. RIDDELL: Right.

29 Q These questions are in the first instance directed
30 to Dr. Riddell and Dr. Walters and then I'll ask
31 the other witnesses to add their thoughts. In
32 2004 a technical paper was prepared on behalf of
33 the Pacific Fisheries Resource Conservation
34 Council and that is in the materials Tab 1
35 CAN002587. This document has been referred to
36 periodically in testimony so far. It was authored
37 by Dr. Walters is the primary author with Mr. --
38 or Dr. LeBlond and then Dr. Riddell, as well. So
39 I guess the -- because it has been referred to
40 already in the hearings a bit, I'm just going to
41 cut to the chase a bit on this and ask the authors
42 why this paper was written and what the outcomes,
43 what were the conclusions that were reached in
44 this paper?

45 And I don't know which of the two of you
46 would like to start on that question.

47 DR. RIDDELL: Well, maybe since I'm here, I can start.

1 Q Sure.

2 DR. RIDDELL: Carl can respond. This paper has come up
3 in a number of contexts and I think we need to
4 actually sort of put it in perspective, as well,
5 because this was written for a very specific
6 question posed by the Minister of Fisheries. The
7 council we're referring to is an advisory council
8 to the minister of the Federal Department of
9 Fisheries and Oceans and it followed from the 2002
10 Adams River return. That actually is described
11 very briefly in the document on page 15 paragraph
12 2, but the event of that year was that the run was
13 returning at really above expected numbers;
14 however, there were environmental conditions in
15 the river that the in-season managers were
16 expecting at least a 50 percent in-river mortality
17 and when the season came to an end and the fish
18 were in the river, we had a good escapement
19 upriver and the en route mortality did not occur,
20 and that the environment changed quite quickly.
21 We had very good passage. I think mortality at
22 the time - I went back about nine percent
23 estimated, and so you had very substantial numbers
24 of fish outside of the Adams and Shuswap Lake
25 again.

26 In 2002 there were protests there. The
27 Pacific Fisheries Council actually was at the
28 Adams River for a couple of days of the protest
29 and so after that, we got the request from the
30 minister's office really posed by their advisory
31 committee. And the question was responding to
32 industry concerns does over-spawning lead to stock
33 collapse. And so I think we need to keep in mind
34 it was a very specific request. Because it was a
35 response directly to the minister's office, it was
36 deliberately written. It's not a particularly
37 technical document. It was technical in the
38 background but with minimal sort of detailed
39 analysis involved and it really was about long-
40 term viability of the stocks. So we really
41 weren't talking about -- we weren't asked to
42 comment on harvest policy and we weren't asked to
43 really comment on appropriateness of fisheries
44 policy or anything else. It was a very specific
45 question.

46 The conclusions, I think, are very simple in
47 the sense that we did not find in 2003 when a lot

1 of the work was done, that with the data from,
2 what was it, 1952 to 2002 information from 19 of
3 the Fraser production stocks for Fraser sockeye -
4 and that data is from the Pacific Salmon
5 Commission at the time - River's Inlet sockeye and
6 Babine sockeye and two pink salmon populations on
7 the coast. And based on that at the time we
8 didn't see any evidence that the stocks following
9 large escapements collapsed in the sense of
10 reduced long-term viability. There's no question
11 that there's evidence in the paper about
12 significant reductions in productivity. This is
13 more of an efficiency of production argument. And
14 there is also no evidence as we went through the
15 detailed records about pre-spawn mortality and
16 disease incidence.

17 Those occurrences in the Fraser did assist
18 them, which is very comprehensive for those.
19 There wasn't any evidence that that was related to
20 the density of the escapement on the spawning
21 grounds either. There had been years of very high
22 mortalities associated with disease but they were
23 not associated strongly with the abundance of fish
24 on the spawning grounds. It was much more to do
25 with the environmental conditions and that is very
26 consistent with a detailed paper written by Dr.
27 Gilhousen at the PSC, as well.

28 Q All right. Thank you. Dr. Walters, would you add
29 anything to that description?

30 DR. WALTERS: No, that's a -- Brian's done a great job
31 of summarizing it. The only thing I would add is
32 that in the light of the information that's been
33 gathered since then and particularly in the light
34 of the Gilhousen paper that we simply overlooked,
35 we didn't know it existed, I think we'd be a
36 little more cautious in saying that the down sides
37 of over-escapement are minor.

38 Q All right. So that -- my next question was going
39 to be whether the conclusions that were reached in
40 2004 are still valid today and maybe we'll just
41 have you comment on that, Mr. -- or Dr. Walters.

42 DR. WALTERS: Yeah. Right near the introduction to
43 that paper we make a reference to a Ricker 1987
44 paper that Ken Wilson mentioned this morning and
45 it had estimates of over a hundred million sockeye
46 for the system back in the 1800s. Gilhousen took
47 Ricker to task and I went back and read through

1 the original Ricker paper and redid the analysis
2 and that hundred million number is just crazy.
3 It's just wrong. There's no way that there were
4 ever anywhere near that many fish in the system
5 during the period of historical records.

6 We would have cited in Gilhousen instead and
7 we would have pointed out that once off a SOC may
8 get away with -- you may get away with a high
9 escapement without any long-term impact, but if
10 it's done repeatedly, it could lead to the kind of
11 reorganization of stock structure that would
12 produce this very violent cyclic pattern that was
13 evident in the late 1800s.

14 Q Dr. Riddell?

15 DR. RIDDELL: Well, I mean, I think if we look at the
16 paper now then as we'd discussed this morning, the
17 thinking has evolved a bit. We do have even
18 larger escapements to compare, so I don't think
19 there's any question that we would say a little --
20 our conclusions now might be a little different if
21 we included all that data. There were a few --

22 DR. WALTERS: And to be honest, you know, we also made
23 a mistake in completely overlooking the issue of
24 delayed density dependence, but we only looked for
25 the immediate effects by plotting recruitment
26 against spawning numbers of a high spawning number
27 immediately on the progeny from those spawners.
28 We didn't even look for the possibility of delayed
29 effects on subsequent spawning runs. I think at
30 that time the statistical evidence that's been
31 piling up in favour of existence in strength
32 delayed effects just wasn't there.

33 DR. RIDDELL: Mm-hmm.

34 Q Sorry.

35 DR. RIDDELL: No, I would agree, but I mean at that
36 time we didn't go back and do that assessment.
37 And a couple of other papers since then, too, I
38 mean, I think at the time an important point is
39 that we may not have had the contrast to really
40 see some of these effects yet. We only really had
41 a couple of really large years of escapements at
42 the time.

43 We actually pointed this out in the
44 introduction because we were thinking at one point
45 well, how powerful would our analysis be to really
46 look at long-term viability. We had years of
47 data, but many of those years of data had been

1 fished at fairly high rates, as we've been -- as
2 we've discussed and the populations have sustained
3 themselves, but we had not had many years of very,
4 very high levels of escapement. So there was a
5 limited sort of contrast there whereas now we have
6 more data.

7 The other thing I'd point out in the paper, I
8 should have commented in the beginning, it's one
9 of the few places where we updated the Fraser
10 Lakes information on the abundance and size of the
11 fry produced in Quesnel and Shuswap Lakes from the
12 Fraser Lake surveys. That data is actually
13 surprisingly difficult to get - readily available
14 if you just phone and ask for it, but it's not
15 widely published. And so I've actually got an
16 update of that material too, if you wish to see
17 that later.

18 Q I should mark this paper as the next exhibit.
19 THE REGISTRAR: Exhibit number 417.

20
21 EXHIBIT 417: Pacific Fisheries Resource
22 Conservation Council, "Does Over-Escapement
23 Cause Salmon Stock Collapse: April 2004 paper
24

25 MS. BAKER:

26 Q Sorry. And, Dr. Walters, were you just going to
27 add something else?

28 DR. WALTERS: No, I'm fine.

29 Q Okay. And Dr. Woodey, do you have anything you
30 want to contribute here in terms of whether there
31 is -- whether over-escapement can cause a collapse
32 of a stock?

33 DR. WOODEY: No, I don't believe I do.

34 Q Okay. And Mr. Wilson?

35 MR. WILSON: Well, I just observe --

36 DR. WALTERS: Maybe I would add one point here and it's
37 in relation to Jim's work on the Quesnel system.
38 Something else that we didn't have available at
39 the time of the over-escapement report was the
40 fairly dramatic decreases in body size and
41 survival rate of the Quesnel stock as it is built
42 up. The stock started -- its off-cycle lines are
43 down just a few thousand fish, started to grow
44 geometrically back in the 1980s and by the late
45 '90s were up not huge, but much larger than they
46 were initially. And there was a severe decline in
47 body size of smolts and severe decline in survival

1 rates. An interesting feature of that is that
2 that decline carried through to the off-cycle
3 lines, as well as the on-cycle lines.

4 In the older data the big runs produced
5 relatively small smolts, obvious competition
6 effects, but as declines progressed, even the
7 little tiny runs for which there was plenty of
8 food according to the plankton data and so on,
9 those little tiny runs started to show suppressed
10 growth and survival, as well. And that indicates
11 some really severe density-related or ecosystem-
12 related carryover effects of some kind going on in
13 the system.

14 Q Thank you.

15 DR. RIDDELL: Can I just point out that what Carl's
16 talking about is actually in the document, right?
17 So we can add a couple of data points, but if you
18 go to the Appendix 1, the last page of the
19 document really, really it's only the Quesnel 2002
20 that we've talked about. 2001 is exactly on the
21 regression line relating the female escapement to
22 body size and you can now add a number of data
23 points to that and the trend is identical. 2002
24 is the only year --

25 DR. WALTERS: Except we didn't have the data showing
26 the suppression in the off-cycles.

27 DR. RIDDELL: This is the data that was available for
28 all cycles in the document. If it's not in the
29 document, it doesn't exist right now.

30 DR. WALTERS: Ah. Well, Jim's going to publish it.

31 DR. RIDDELL: Well, it's becoming much more topical and
32 I think that there's no question that we need to
33 get that information out to the Cohen Commission,
34 because you can't bring this up now to the current
35 time and you'll see that the regressions actually
36 are almost identical, right? So it speaks to the
37 sort of resilience of the lake systems, if you
38 want. But the idea that the smolts are -- not
39 smolts, but the Fall fry are getting consistently
40 smaller is not true actually, as we add the new
41 data through the line.

42 Q Dr. Woodey?

43 DR. WOODEY: Yes. And just in relation to the graphs
44 that are shown in the last -- currently up on the
45 screen, two problems exist. One is that these
46 regressions are deficient in the sense that they
47 include juvenile Kokanee in the samples that are

1 collected in the lakes. Juvenile Kokanee are
2 smaller than the juvenile sockeye and when you
3 have relative -- you have an off-cycle line
4 sockeye, the juvenile Kokanee could easily
5 dominate in the regression. So what you're doing
6 then in the statistically in the regression is
7 you're flattening out the regression line by the
8 fact that you're getting small Kokanee on the
9 left-hand column, near zero effective female
10 sockeye. And so that's the first problem.

11 And the second problem is that when you're
12 mixing all of the data, dominant lines,
13 subdominant line, et cetera, what I've found is
14 that you actually have separate regressions fit to
15 the dominant line and the subdominant line and
16 that the dominant line juveniles for given numbers
17 of parent spawners are larger than the subdominant
18 line juveniles. And that's your delayed density
19 dependence and it's not being characterized
20 properly in either of these regressions because
21 you have the -- primarily in the Quesnel. But the
22 Kokanee problem exists in both Quesnel and
23 Shuswap.

24 DR. WALTERS: Could I make a comment for the
25 commissioner about that very technical thing you
26 just heard? The bottom line of this stuff, sir,
27 is that we are dealing with highly fragmentary
28 data that is questionable all over the place in
29 its interpretation. We do not have found long-
30 term monitoring programs. We're relying entirely
31 on historical accidents of population change to
32 provide the data for us, rather than any kind of
33 real experiments. And there's no foreseeable end
34 to that ambiguity as far as I'm concerned. We
35 will continue to be confused for a very long time
36 unless we go out and to very much larger scale
37 management experiments to deliberately push some
38 of these populations around in abundance a lot
39 more than I think anyone's willing to do for
40 management.

41 Q Mr. Wilson, I think you started to answer the
42 question and then you got cut off. So...

43 MR. WILSON: I just wanted to make the general
44 commonsense argument that when we arrived here and
45 began our commercial fisheries, we likely found
46 salmon stocks that were in pretty good health and
47 more abundant than they are today by far. It

1 seems to me that if over-escapement was such a
2 serious problem, that problem would have been
3 manifest when we arrived here, we would have
4 expected to find salmon stocks in trouble because
5 of the very large escapements that almost
6 certainly occurred periodically prior to the onset
7 of significant commercial harvest.

8 Q Dr. Woodey, you had a comment?

9 DR. WOODEY: Yes. Just going back to what Carl was
10 saying, there's two sources of information
11 relative to the size of juveniles. The first is
12 the actual juvenile sampling, and as I say, the
13 main problem there is the need to separate the
14 fish which are from Kokanee spawners, that is
15 Kokanee being landlocked sockeye and which are
16 small as adults and have small egg sizes and small
17 fry.

18 Separation of the Kokanee is first problem or
19 first issue, but to get at the actual growth in
20 the lake, there is a second source of information
21 and that is the scales of the adults coming back
22 and so that's what I used in the paper that we
23 wrote regarding the cyclic dominance. The scale
24 measurements from adults that return to spawn and
25 those are all sockeye so we know that they're
26 sockeye and we can use those data for going back
27 many generations, further than the juvenile
28 samples go back. So we do have some data here
29 that we can use.

30 Q If I can just bring you back to the question that
31 I asked, and I wonder if you could just address it
32 -- oh, sorry, Dr. Walters?

33 DR. WALTERS: Yeah, I'm sorry. I have heard Ken Wilson
34 say three times now, I believe, that there used to
35 be lots more fish when -- there were lots more
36 fish when white men arrived. That is -- that
37 statement is simply not true. When the fishery
38 purse peaked up about 1890, not enough had been
39 removed before then to have depleted the stock
40 substantially and the stocks were not larger than
41 about 40 million, what we see -- what we predict
42 to be the peak capacity of the system. And they
43 were already cyclic.

44 It is not true that there were hundreds of
45 millions of sockeye and that everything was
46 healthy until we got here and fished them. In
47 fact, I think Jim Woodey has pointed out that on

1 average the run sizes of the '90s are pretty close
2 to the run sizes of the late 1800s, run sizes
3 before the fishery had had an opportunity to
4 deplete the stocks.
5 Q And what's -- what's the information that you use
6 to make that statement?
7 DR. WALTERS: That's based primarily on the Gilhousen
8 abundance reconstruction, and that is based on --
9 as soon as information became available in about
10 1892, which is pretty much as soon as the fishery
11 became large enough to have serious impacts,
12 Gilhousen was able to obtain fishing effort data,
13 how many boats were fishing and when they fished
14 specifically through the year. And he was able to
15 calculate the harvest rates exerted by each boat,
16 by each unit of fishing effort. Given those
17 harvest rates, he could back-calculate what
18 proportions of the runs were in the catch and
19 therefore how large the runs had to have been.
20 Q And Mr. Wilson, where does your information come
21 from?
22 MR. WILSON: Well, I'm looking at a reconstructed run.
23 The source cited here was Pacific Salmon
24 Commission. I'd have to sort it out exactly, but
25 it's the same reconstructed database, I believe,
26 that goes back to 1893. It's true that --
27 DR. WALTERS: That's Gilhousen database basically.
28 MR. WILSON: Yes. It's true that the stocks were
29 strongly cyclic, but every four years we saw an
30 escapement that was comparable with the 2010
31 returns. So going back to eighteen ninety --
32 DR. WALTERS: That's because all the stocks were on the
33 same cycle line. If you --
34 MR. WILSON: Fair enough.
35 DR. WALTERS: -- remove the recent Adams stock and
36 Horsefly and so on all to the same cycle line,
37 you'll find that the peak is very similar.
38 MR. WILSON: I'm just making the point that with these
39 very large escapements occurring every four years,
40 you might have expected to see some stock
41 collapse, but there doesn't appear to be any
42 evidence of that on the data prior to Hell's Gate.
43 DR. WALTERS: You don't expect to see what?
44 MR. WILSON: You would expect to see some stocks
45 collapsing when you're seeing escapements of, you
46 know, very large escapements and runs on the 40
47 million range.

1 DR. WALTERS: You don't think that having three out of
2 four years having very low returns represents
3 anything like collapse?

4 MR. WILSON: No.

5 DR. WALTERS: Consistently three out of four being low?

6 MR. WILSON: Well, it may be that cyclic dominance is
7 the natural state of affairs in Fraser sockeye.
8 I'm simply making the point that very large
9 escapements occurred every four years. Now, it
10 may be a problem for fishermen and it may be a
11 problem from the standpoint of taking yield, but
12 it's unlikely to be a problem for the fish
13 themselves. I don't see the stock collapse as a
14 biological problem. I don't think that's what
15 we're talking about here.

16 We're talking about an arrangement that may
17 not suit even commercial fisheries on an annual
18 basis, but we saw strong, healthy runs, cyclic or
19 not, and there's no evidence that those runs are
20 in any sort of decline. The dominant cycle seems
21 to be strong and returning at between 16 and 39
22 million, based on Gilhousen's data. So it seems
23 to me that if these large escapements were causing
24 such difficulty, that some of those difficulties
25 should have been evident during that time period
26 and should be shown in the data.

27 DR. WALTERS: They were evident in the three out of
28 four years when poor returns occurred.

29 Q All right. I think we've got that point. The
30 question I would like to ask now about this paper,
31 the 2004 paper, is we've heard about how it was --
32 how the work was done and why it was done. Is it
33 -- does it remain today a valid tool for managers
34 to use in assessing impacts of over-escapement on
35 stocks? Is it valid today to use the results of
36 that work to assess whether a stock collapse may
37 result from an over-escapement? And I'll start --
38 I'll ask Dr. Riddell that question.

39 DR. RIDDELL: Well, is the paper still valid? I'm not
40 sure that it's the correct comparison, I guess, in
41 the sense that I would still draw the same
42 conclusion about stock collapse, but we are going
43 to add different cautionary notes as Carl alluded
44 to earlier, because we have more data, we've seen
45 larger escapements and we do now think that there
46 are different models, much stronger inferences
47 about the interaction between lines, certainly

1 increased information about rate of loss of
2 productivity and high spawning escapement goals,
3 but as we've said in the beginning, that's largely
4 expected to some extent.

5 Are we seeing collapse where we're not
6 getting recoveries of the stocks? No. We're
7 still not seeing that unless the notion of the
8 delayed density dependence really continues to
9 escalate. There is clearly a concern in terms of
10 the trends in return in Chilko sockeye are
11 perplexing, although they did much better last
12 year in 2010 again, so it remains to be seen what
13 happens after that.

14 You know, in reading through it again
15 carefully in terms of preparation for today, at
16 the time I don't think I would have really changed
17 anything. It needs to be read for the specific
18 question that was asked. As I say, it's not about
19 fishing policy. But I think we would add more
20 assessment -- we probably wouldn't even do as very
21 -- what I said as sort of a simple presentation
22 now because the Larkin analysis obviously requires
23 more consideration of the interlying interactions.

24 Q Dr. Walters, do you have anything to add?

25 DR. WALTERS: Yeah. What Brian really said is what --
26 and I'd agree, is we'd be a lot more careful
27 today --

28 Q Okay.

29 DR. WALTERS: -- about our conclusions. We wouldn't be
30 quite -- we wouldn't be near as strong in saying
31 what we said.

32 Q Okay. Thanks. I'd like to move to another
33 variation on this theme. Since management of
34 Fraser River sockeye moved from the prior strategy
35 that was used by the IPFFC to the focus on
36 rebuilding and conservation under the rebuilding
37 strategy in 1987 and then through FRSSI, has that
38 change in management strategy resulted in any
39 negative impacts to Fraser River sockeye stocks?
40 And I'll start with you, Mr. Wilson.

41 MR. WILSON: Well, by negative impacts, are we talking
42 about negative biological impacts on the -- you
43 know, the ecology and -- of Fraser River sockeye
44 or are we talking about changing yield, the number
45 of fish available for human use?

46 Q Well, why don't you answer both of those questions
47 for me?

1 MR. WILSON: I think there's likely to be an impact of
2 higher escapements on the number of fish available
3 for harvest, particularly in mixed stock
4 fisheries. I'm far from convinced that there's
5 any long-term negative impacts on the populations
6 themselves that result from high escapement. In
7 fact, I've seen no evidence of it at all.

8 Q All right. Dr. Woodey?

9 DR. WOODEY: Could you rephrase the question?

10 Q Yes. What I asked was whether there's been -- we
11 talked about this a little bit earlier too, that
12 there was a change in management escapement policy
13 and management strategies from the old Salmon
14 Commission to the rebuilding strategy that was
15 implemented by DFO in '87 and through to FRSSI
16 today and since mid-2000s. Has that change in
17 management strategy had any negative impact to
18 Fraser River sockeye stocks?

19 DR. WOODEY: The change from the IPSFC to the early
20 years of DFO management was relatively --
21 management patterns relatively similar, so we're
22 not talking about differences immediately based on
23 the 1987 stock rebuilding. But the harvest rates
24 in some of those years were still fairly high and
25 it was because there was essentially a desire to
26 keep the large stocks at approximately maximum
27 sustained yield point. There was concern with the
28 rebuilding of some of the other either smaller
29 stocks or off-cycles of large stocks, but we're
30 not talking about the change to what is called for
31 in the FRSSI model, which would be a much lower
32 maximum harvest rate.

33 Q Okay. Did either of those strategies have a
34 negative impact on the stocks in your view?

35 DR. WOODEY: In some cases there had been a positive
36 response. I think the response of the Quesnel
37 runs in the late '80s, early '90s and so on would
38 have occurred regardless of any change in the
39 pattern of management. The subdominant runs were
40 building up and built up further in that time
41 period. Some of the issues if you look at the
42 data and don't question them on Chilko, those
43 large runs that started occurring in the early
44 '90s or large escapements were the result of some
45 fertilization in some of those years. There were
46 good responses to fertilization in some of the
47 early '90s.

1 Q Dr. Riddell?

2 DR. RIDDELL: Well, I think if you look at the basic
3 question in terms of what's happened over time,
4 you would have seen a build-up, so there would
5 have been a positive response through the initial
6 escapement rebuilding program following, I guess
7 that was the late '80s, that discussion, and then
8 on through the '90s. When you've got to some of
9 the very large escapements in recent years, as
10 we've talked about several times already, there is
11 evidence now of these interlying interactions that
12 could be seen as being negative. They will reduce
13 the production that we're getting back and so
14 there may have well been a cost in terms of
15 potential production of Fraser sockeye.

16 Have they done damage to the stock? See, I
17 don't think that you can say that in the sense
18 that you've had lots of spawning capacity. We
19 obviously have had good years, return when we've
20 got good marine survival, but you may through some
21 periods have certainly been able to produce more
22 fish if the density dependence starts to compound
23 after the escapement goals. But I think any talk
24 about negative impact on the stocks is probably
25 not true.

26 Q Dr. Walters?

27 DR. WALTERS: I'd agree with what Brian said. I don't
28 think we can identify any serious negative impact
29 on the stocks, unless it turns out that the system
30 is reorganizing itself on a large scale across
31 multiple stocks to go back into a more violently
32 cyclic regime like the late 1800s.

33 Q And --

34 DR. WALTERS: If that's occurring, there could be
35 deleterious effects on a number of stocks.

36 Q And how would we know if that's actually
37 happening, if that hypothesis is valid?

38 DR. WALTERS: Well, if it -- the worst fear is if next
39 year is a real bust, and then we see two more
40 years of real bust after that and then a real big
41 run back, if we see the pattern of from 2007 to
42 2010 repeated again.

43 Q All right. Next question is again on a different
44 subtopic here. Do we -- we've talked a lot about
45 carrying capacity of lakes and I would like to ask
46 the panel if we know enough now about the carrying
47 capacity of lake systems to fully understand the

1 impacts of large escapements on these stocks.
2 Like, do we have enough information now to do the
3 work needed to better understand some of these
4 impacts?

5 I'll start with Mr. Wilson.

6 MR. WILSON: I don't believe so.

7 Q Okay. Mr. Woodey -- Dr. Woodey?

8 DR. WOODEY: We know a lot about certain of the lake
9 systems, certain Quesnel and Shuswap in
10 particular. We need much more information on some
11 of the other lake systems in the watershed to
12 ensure that the decisions that are made in regard
13 to escapement policy are taken with a good, clear
14 understanding of what we're dealing with in terms
15 of the productive capacity of lakes and the
16 interactions between cycle lines, delayed density
17 dependence issue.

18 We have systems, lake systems, that are
19 likely undergoing fairly major changes as a result
20 of the way the escapement has occurred or
21 escapement levels have changed in the sense of the
22 food capacity to rear fish. And I really think
23 that the lake survey program is -- needs to be
24 revitalized and it's been reduced by their
25 financial capacity to cover more lakes, so it's --
26 right now the only lakes in the system that are
27 consistently done are Quesnel and Shuswap and we
28 do need more information on some of the other
29 systems.

30 Q Thank you. Dr. Riddell?

31 DR. RIDDELL: Well, I think I agree with Ken, but I
32 wouldn't be quite as emphatic in terms -- we know
33 enough now to ask better questions. We know to
34 focus on -- we really can't address this
35 freshwater issue without looking at the fish
36 health - some of the comments Carl's made about
37 parasites, for example. We do need to look at
38 some of the other lakes in terms of their
39 dynamics. I think in previous sessions we've
40 talked about what's going on in the Stuart Lakes.
41 Well, we're not doing any work up there any more.
42 So clearly to restore that lake - and Carl
43 referred to it this morning - the statistic it
44 looks like we should fish them harder. I expect
45 you'd have a hard time convincing many people that
46 that's where we should go in Stuart Lakes right
47 now. So to justify that, you clearly want to do

1 some work in the fresh water.

2 And I think the big question is maybe we know
3 enough to be a bit dangerous to think we know too
4 much, but we really need to do the ecosystem
5 studies in each year. Again, we talked about this
6 in previous sessions. Right now we tend to sample
7 in only one or two years when the dominant
8 escapements have been there. To really look at
9 the interactions you need to actually do the study
10 each year and that has not been done for a number
11 of years. So I think I agree with Ken that we
12 don't know enough. We have learned a lot by what
13 we're doing but we still need to do more work, I
14 think, to tie this down.

15 Q Thank you. And Dr. Walters?

16 DR. WALTERS: I'd agree with what everyone else has
17 said.

18 Q Thank you. Given time is precious here, if you
19 think you've already answered this question,
20 please just tell me so, but do the TAM rules that
21 are created using the FRSSI model, which has a 60
22 percent harvest rate ceiling, does that create a
23 risk of over-escapement? And if you've already
24 answered this when I asked the question about
25 whether the policy, the harvest policies of
26 rebuilding and FRSSI had any impact, then just let
27 me know. But if there's a different complexion to
28 this question which gives rise to a different
29 answer, please answer it. So do the TAM rules
30 with the 60 percent harvest rate ceiling that come
31 out of the FRSSI model present a risk of over-
32 escapement?

33 Mr. Wilson?

34 MR. WILSON: Well, from the yield perspective, I guess
35 the biggest concern I have is that we put a cap of
36 60 percent on this aggregate with a buffer to
37 protect diversity in smaller stocks. But what we
38 don't allow ourselves the luxury of doing is
39 harvesting fish in large numbers in terminal
40 areas.

41 So if you're convinced that a particular
42 escapement is hazardous to the health of a
43 particular salmon stock or CU, then certainly you
44 might want to harvest it down in terminal areas.
45 But part of the issue that's been driving this
46 whole process is the health of smaller stocks and
47 the protection of stocks that aren't producing as

1 well. So the price we're paying for protecting
2 weak stocks is, if you like, under-fishing on the
3 strong ones. By changing the structure of our
4 fisheries, we could certainly address that
5 problem, gain benefits in terminal areas and still
6 custom tailor the harvest strategy for an
7 individual stock.

8 That's not going to be easy and it's going to
9 require some changes in our fisheries, but at
10 least many of the concerns that have been
11 expressed here could be addressed to some degree
12 through that style of management.

13 Q Thank you. And Dr. Woodey?

14 DR. WOODEY: I don't have any comment.

15 Q Dr. Riddell?

16 DR. RIDDELL: I think Ken has addressed it quite well.

17 I mean, obviously 60 percent sounds modest
18 compared to past history, but it's substantially
19 more on average than you've seen in the past
20 probably five or six years anyhow. The question
21 in my mind though is you really need to look at
22 what are the triggers that would allow you to get
23 to 60 percent. Because there could be triggers
24 that very infrequently allow you to get there. So
25 I think you have to look at the whole agreement
26 before I could really comment on whether it's
27 going to contribute to over-spawning. I just
28 don't know unless you really look at how the 60
29 percent would be triggered.

30 Q All right. Dr. Walters?

31 DR. WALTERS: Well, as I mentioned earlier, the most
32 recent Larkin model analyses suggests we might
33 ought to be fishing harder if we don't get
34 continued poor marine survival rate like we've
35 had. I think Ken's bang on in saying that the 60
36 percent is kind of a compromise and intended to
37 protect weak stocks and allow reasonable harvests
38 and so on. Like, that -- it's a poor man's
39 compromise compared to a more fundamental change
40 in fisheries management that permitted more
41 selective harvesting of a stock, wherever that
42 might take place, up in the river or wherever. As
43 long as we're going to be operating our fisheries
44 primarily as large offshore mid-stock fisheries,
45 we're going to always be facing this nasty trade-
46 off.

47 We're always going to be facing whether it's

1 worth saving a stock that produces 50,000 fish
2 like the Cultus, if letting it go we could catch
3 300,000 fish from the Weaver. Those are hopeless
4 decisions. It's a hopeless trade-off. It's not
5 surprising that the management system has come out
6 with a kind of a compromise, it's lose/lose for
7 everyone.

8 Q Well, that answer leads me into my next question,
9 which is whether protection of weak stocks like
10 Cultus should -- so how do you balance the
11 protection needs for weak stocks like Cultus
12 against risks of over-escapement or productivity
13 impacts on stocks that may have that risk where
14 there's a high level of spawners released onto the
15 spawning grounds? So how do we do that balancing?
16 And maybe go to you, Mr. Wilson, to start.

17 MR. WILSON: Well, the whole issue of the value of
18 biodiversity comes into this answer. I guess our
19 observation over the last few years has been that
20 some stocks that we felt were potentially quite
21 minor stocks, such as the Harrison, have become
22 very large and now produce substantial yield and
23 benefits to commercial fisheries. It's my
24 understanding that the world is in a state of
25 rapid change and always will be and salmon
26 populations are in the business of adapting to
27 that change and trying to survive. Biodiversity
28 is the raw material that salmon populations use to
29 adapt to change. Conditions change to favour one
30 stock and to the disadvantage of another and the
31 stocks that produce the yield will change from
32 time to time. But it requires a knowledge of the
33 future that we don't have in order to make a
34 decision a priority about which biodiversity we
35 can afford to sacrifice in the interests of yield
36 and which needs to be protected. So our approach
37 has always been to try to maintain and even
38 improve on what we have. If we can do that, then
39 we're going to be able to win on both counts.

40 Q Dr. Woodey? And if you can respond to the issue
41 raised by Mr. Wilson, as well, that would be
42 helpful.

43 DR. WOODEY: From our perspective in harvesting strong
44 stocks and protecting weak stocks, there's trade-
45 offs certainly and one cannot expect that you can
46 optimize escapement levels on all stocks at the
47 same time and there needs to be an understanding

1 that you don't manage the whole fishery for Cultus
2 Lake sockeye and in fact, Cultus Lake was doing
3 reasonably well in the '90s prior to the early --
4 the onset of early upstream migration of late run
5 sockeye and that has thrown a whole -- the whole
6 thing out of whack, a monkey wrench. And all of
7 these low exploitation rates are -- not all,
8 excuse me, Brian, but low exploitation rates in
9 the '90s are largely -- well, a combination of
10 poor marine survival, but then even when there are
11 full numbers of fish, the DFO's policy on late run
12 sockeye management has constrained harvest and led
13 to some of these over-escapements that we've
14 talked about.

15 Q Do you have a response to Mr. Wilson's point that
16 we need to maintain all of the biodiversity we see
17 in this system, that that is kind of protection
18 for the future in a changing world?

19 DR. WOODLEY: In terms of biodiversity as it pertains to
20 sockeye stocks, the -- maintaining all of the
21 cycle, the four cycle lines at high levels or --
22 is not a high priority from my point of view,
23 because naturally I think the evidence shows that
24 there's been years or periods of time when off-
25 cycle lines have not produced well, but there's a
26 biological reason for that if we're going to
27 maintain cyclic -- cycle line interactions exist
28 and the cyclic dominance pattern is maintained.
29 Where your biodiversity comes in is the fact that
30 you've got major stocks or major returns on at
31 least one, if not two, two lines. You're not
32 going to lose those stocks if one of the off-lines
33 is over-exploited by the fact that a different
34 stock has a dominant run on that line and is
35 harvested at a high rate.

36 Q So you're saying where you have a mixed stock
37 happening at the same time, and one of those is on
38 an off-cycle, one of them is on an on-cycle, if
39 you harvest at the on-cycle rate, you're not going
40 to impact that off-cycle on the weaker stock? Is
41 that what you're saying?

42 DR. WOODLEY: I'm just saying that, yes, you would
43 impact that line escapement but if it is dominant
44 on a different line, you've still got a major
45 stock and, you know, good health in the system.
46 The sockeye we say are primarily four-year-old
47 fish at maturity, but a portion of their

1 recruitment is at age five, and those five-year-
2 olds get sloughed off from the dominant line to
3 the subdominant and comprise in, say, for Quesnel
4 have comprised over 50 percent of the escapement
5 on a subdominant line and then their offspring
6 come back as a high proportion of fives.

7 So there's a direct relationship between the
8 proportion of fives in the escapement and the
9 proportion of fives in the recruitment. So fives
10 tend to produce more fives and so you -- if you
11 get a hole in one line due to over-harvest, there
12 will be a rebuilding of that from five-year-olds
13 that are coming from other lines.

14 Q Dr. Riddell?

15 DR. RIDDELL: Well, as Ken pointed out in the beginning
16 of this, it really is a matter of trade-offs and
17 how we set the objectives. And we've also talked
18 about inland fisheries, where you have
19 opportunities in some of these larger stocks, but,
20 you know, fundamentally I suppose this gets back
21 to the Wild Salmon Policy discussion again, and it
22 should be pointed out, I think, that the Wild
23 Salmon Policy does not require every conservation
24 unit to be at the same level of status. And so
25 you really can, through Strategy 4, that I guess
26 we'll talk about later, this really is a matter
27 where the people affected should be involved in
28 the assessment and discussion and come to a best
29 solution. You are going to have trade-offs in
30 these values. Just the way Carl says, if it's out
31 in the open and you have less certainty in your
32 information, the trade-off is going to be even
33 bigger. But this is the sort of thing that we
34 anticipated under Wild Salmon Policy and how you
35 actually meet your objectives for biodiversity as
36 well as sustain fisheries and add to that
37 increasing request for inland fishing.

38 So this is really a matter of finding a way
39 to get a process in place that can actually
40 undertake these trade-offs and make the best
41 decision within an open environment.

42 Q And do we have a process now that allows that to
43 be done?

44 DR. RIDDELL: Well, I mean, this is the discussion
45 about Strategy 4 of the Wild Salmon Policy. We
46 have processes involved. Do we have analytical
47 processes where people can really work with some

1 of the data? I mean, Carl's the expert in doing
2 trade-off assessments and he's done some nice work
3 with -- in the Skeena drainage for what we called
4 the Independent Science Panel. We did do a
5 structured decision analysis for how you can serve
6 Cultus Lake Coho, but that's an example of the
7 process but it was really a slightly different
8 question in terms of what's the best combination
9 of recovery tools at hand - enhancement versus
10 predator removal and that sort of thing. You can
11 do the same type of analyses looking at the
12 contrast between the productivities of the
13 different conservation units.

14 But the other thing -- I mean, as Jim has
15 just said, there are opportunities between lines.
16 When you're talking about conservation of genetic
17 material you're looking at a multi-year thing
18 because you're talking about the genetically
19 affected population, not just the census number in
20 a year, so there is a little cross-year mixing
21 that does go on.

22 Q Dr. Walters?

23 DR. WALTERS: Yeah, I guess -- I have to wear two hats
24 in answering that question. As a biologist, I
25 abhor the idea of losing these unique evolved
26 genomes, like Cultus Lake. It's a very unique
27 creature. But on the other hand, if I tried to
28 empathize with or put myself in the place of a
29 commercial fisherman and over the last few years
30 he has to worry that he's lost something like half
31 of his income, which is a very large price to ask
32 anyone to pay to ensure the future of the Cultus
33 Lake, it would be very much like you're going to
34 your stockbroker and having your stockbroker tell
35 you that you had to keep every stock you've ever
36 owned. I think you'd get rid of your stockbroker,
37 wouldn't you?

38 There is a very fundamental conflict of
39 interest here between those of us who prize
40 diversity for its own sake versus those who are
41 having to foot the bill for the things we prize.
42 We cannot objectively say that maintenance of
43 biological diversity is necessary for sustained
44 fishery. We can very likely sustain fisheries
45 forever on the Fraser just on the basis of its
46 large stocks, and the (indiscernible) stocks that,
47 like the Cultus, never will have the potential to

1 replace the loss if any of those large stocks
2 collapse.

3 Q What about this -- what about the notion that we
4 have had described or this theory that we need to
5 maintain all the small stocks in order to create
6 insurance for stock collapse, to preserve
7 biodiversity for future changing environments? We
8 don't know now which small stocks could be the
9 future of the system. Isn't it too risky to --

10 DR. WALTERS: Nonsense.

11 Q -- say, preserve the big stocks?

12 DR. WALTERS: In the first place, let me ask you if you
13 would be willing to pay half of your income for an
14 insurance policy? Because that's what we're
15 asking our commercial fishermen to do today.

16 On the second hand -- and the second thing,
17 most of those small stocks could never be large.
18 You heard testimony in the Fall from two
19 biologists, Holt and Hyatt who spoke about the
20 Cultus having the potential to be as large as the
21 large stocks of today. Well, that's absolute
22 nonsense. Cultus Lake at a little over six square
23 kilometres could never produce the kind of numbers
24 of sockeye that a big lake like Shuswap or Quesnel
25 at 400 square kilometres is capable of producing.
26 Our fishery and our economic future depends on
27 those large stocks and their health, not on the
28 little cute stocks that biologists like me love to
29 look at.

30 Q What about the idea --

31 DR. WALTERS: We should not lie by pretending that they
32 have some future economic value.

33 Q Is Harrison an example of a small stock that has
34 become big and economically viable?

35 DR. WALTERS: Which has?

36 Q Harrison?

37 DR. WALTERS: It's become big. That doesn't mean it's
38 become economically viable. It's been able to
39 become big because harvest rates were low. It has
40 not produced large catches. It's an example of a
41 large unproductive stock. And you talked about
42 small productive and small unproductive, well,
43 there's also large productive and large
44 unproductive. It's not capable, as far as we can
45 tell from its productivity, of sustaining high
46 yields out into the future. It did not sustain
47 them in the past.

1 Q What about the idea that Mr. Wilson put forward of
2 fishing in the river and then being able to
3 conserve stock like Cultus that's at the entrance
4 of the river almost, but you could then harvest
5 further upriver?

6 DR. WALTERS: Yeah, if only our commercial fisheries
7 had developed just above Chilliwack, it would have
8 made a huge difference.

9 Q But would --

10 DR. WALTERS: Commercial fishermen would argue, too,
11 that they have no right to fish there, that that
12 would mean a complete reallocation to the native
13 fisheries. They would also argue that the product
14 quality declines considerably and prices and
15 economic value decline considerably as you move up
16 into the river.

17 Q But leaving those economic arguments to one side,
18 as a -- in terms of the biology, would fishing
19 further up the river be one way of allowing the
20 preservation or conservation constraint on a stock
21 like Cultus while at the same time fishing harder
22 on those runs that you would say need to be fished
23 harder?

24 DR. WALTERS: Sure. We could put in a couple of really
25 large fish wheels just up -- fish traps and wheel
26 systems just upstream of Chilliwack and take all
27 of our catch for the Fraser while being very, very
28 selective with stock ID methods and so on like
29 that and hand the fish out to people up in the
30 basin or sell them on behalf of the public or
31 whatever. There's -- we could certainly
32 reorganize the fisheries in major ways like you've
33 said.

34 I think the issue here is one of basic rights
35 to the fish. Have the commercial fishermen
36 established basic property rights to those fish?
37 Should the public take away those rights, transfer
38 them to the First Nations fisheries that operate
39 up in the river? To whom should the benefits go?

40 Q But those --

41 DR. WALTERS: We have a --

42 Q Those stocks -- Dr. Walters --

43 DR. WALTERS: -- pile of biologists -- we are not the
44 people to be asking these questions.

45 Q Well, I was just going to make that point with
46 you. We were asking you on the biology side today
47 and some of those issues you just raised are more

1 of a policy type of discussion, I suggest.
2 Before we leave -- I'm just about -- the last
3 question I wanted to leave with the panel is
4 whether there are any recommendations that you
5 would like to leave with the commissioner to
6 consider in the inquiry. So I'll just -- I'll
7 start with Mr. Wilson?

8 MR. WILSON: Well, Mr. Commissioner, I don't think
9 we're going to get to a place where compromise and
10 balance aren't important components of the
11 management of Fraser sockeye. I don't expect that
12 the world will be managed to maximize biodiversity
13 and I don't believe that we'll preserve every
14 stock. But I think we need to take a balanced
15 view of both the stock structure, the genetic
16 differences between stocks, the importance of
17 specific often small stocks to First Nations and
18 their rights and their harvest, and the interests
19 of people that may consider salmon to be valuable
20 for reasons other than their food value. So we're
21 not going to get past compromise.

22 I guess my concern here is that we seem to be
23 trying to answer what is clearly a complex
24 sociological problem that has to do with balancing
25 all our various values. We're trying to reduce
26 that down to a technical question that scientists
27 can give us an answer to, so that we can go away
28 and make our decision without dealing with very
29 complex problem of balancing everyone's interests.
30 And I think that's what we're struggling with
31 here.

32 Thank you.

33 Q Thank you. Dr. Woodey?

34 DR. WOODEY: Mr. Commissioner, my view is that in some
35 ways very much like Ken's, there's got to be
36 trade-offs in the way the management of the
37 fishery balances the biodiversity issues and
38 harvest. But I guess I'll harp again on the issue
39 of why we're sitting here in some degree and that
40 is that the issue of early migration of Late Run
41 sockeye is the biggest problem that we're facing
42 and is -- has in some cases direct relation to the
43 over-escapement that we've seen that has led to a
44 substantial reduction of the Quesnel stocks and
45 possibly other stocks. And at the same time,
46 harvestable -- there's been -- some of that has
47 been just as a result of the policy that DFO

1 adopted in 2001 and somewhere along the line I
2 expect that you'll have heard that I made a
3 recommendation about how to address the issue of
4 the early upstream migration and harvesting Summer
5 Run stocks, et cetera.

6 That recommendation was for, I gather, a
7 number of reasons not adopted, but there needs to
8 be a clearer understanding that until we answer
9 and work around that whole issue, much of what we
10 could optimize here, you know, on paper isn't
11 going to be practical because we've got a policy
12 that restrains harvest rate when -- on Late Run
13 sockeye to some much lower level, 30 percent I
14 believe was the target, maybe 35 percent in 2010
15 on catch of Adams sockeye and so very major
16 numbers of Adams sockeye went upstream unharvested
17 and other stocks had equally large escapements and
18 we will be asking the question four years from now
19 whether the 2010 run over-escapements were, you
20 know, what the consequences of that were. We need
21 more research on getting to the basic reason for
22 Late Run behaviour and we need more investigation
23 into options other than what the Department of
24 Fisheries and Oceans has adopted as its policy
25 because of the impacts it's been having on the
26 escapements on Summer Run stocks.

27 So this early migration is the elephant in
28 the room, as I said, and it's not going to go away
29 when the inquiry is through with its report.

30 Q Now, Dr. Woodey, I'm not sure if we were clear
31 with you on that issue that you've just described.
32 We did raise this with Mike Lapointe when he was
33 here, but I wonder if I could just summarize and
34 you can correct me if I have it wrong. But the
35 issue was that there was a higher harvest rate
36 available on Summer Run stocks in that year than
37 there was available for the Late Run stocks,
38 correct? Is that right?

39 DR. WOODEY: That's correct.

40 Q Okay. And that because the Late Run stocks
41 migrated at a different time, they were -- there
42 was an overlap; is that the issue?

43 DR. WOODEY: Yes. They had been coming into the river
44 early and having high mortality rate that then led
45 to the Department of Fisheries and Oceans
46 developing a policy of lowering the overall
47 harvest rate on Late Run sockeye to compensate for

1 anticipated early upstream migration and
2 mortality.

3 Q So that your issue isn't -- that was the -- you
4 agree that that was a good decision, I take it, to
5 reduce the harvest on the Late Runs because of the
6 anticipated en route mortality?

7 DR. WOODEY: The decision, in my opinion, was not
8 correct in that we can predict that the early
9 upstream migrants, Late Run migrants are going to
10 suffer very high rates of mortality and therefore,
11 to allow them to go upstream and allow the Summer
12 Runs that were mixed with them to go upstream is a
13 loss of yield and an over-escapement on the Summer
14 Runs and at the same time, not doing much in the
15 way of solving the problem on Late Runs.

16 Q And why didn't it solve the problem on Late Runs?

17 DR. WOODEY: Well, because those early migrants, which
18 were protecting, are going to die en route or on
19 the spawning grounds. And so we spent a pretty
20 substantial amount of money on that whole problem,
21 \$3 million or something of that nature in
22 research. We still don' have the answer of why
23 they're doing that, but we can say that fish that
24 enter the river, Late Run sockeye that enter the
25 river prior to about the end of August are going
26 to have an elevated mortality rate and therefore,
27 policies that protect those fish are wrongheaded.
28 If you wanted to do the best job of protecting the
29 Late Run fish that are misbehaving you would shut
30 down fisheries in the marine areas and get as many
31 into the river as you can and then harvest those
32 early upstream migrants because they're going to
33 have this very high mortality rate and you could
34 then harvest the Summer Run excesses. That
35 doesn't mean, Brian, that we're going to harvest
36 -- we would harvest every Late Run fish migrating
37 in the river in August, but the evolution, in my
38 opinion, the evolution of behaviour in the fish in
39 different stocks in the watershed has been driven
40 by the parasite that's killing them and allowing
41 them to go upstream is not really going to solve
42 the problem.

43 Q Now, I --

44 DR. WOODEY: It's not an adaptive thing.

45 Q I understood from Mr. Lapointe's evidence that
46 there was an opposing view which was that although
47 many of those early migratory Late Run stocks

1 would die, there may be some that wouldn't and
2 they would be very valuable from an ecological
3 point of view, those few that did survive and came
4 in early, they may be very, very important from a
5 long-term biodiversity point of view. What's your
6 response to that argument?

7 DR. WOODEY: My response basically is that in 2001 when
8 we first had the workshop to try to develop a
9 research program identifying the causes of the
10 early upstream migration, I presented a chart that
11 showed Fraser sockeye with one exception spend 50
12 days or less in fresh water between entering and
13 spawning and for stocks in the southern B.C.,
14 Washington, including Columbia River stocks,
15 coastal stocks, spend 100 days to 190 days in
16 fresh water without dying.

17 So why do the Fraser fish have very low --
18 short times in fresh water? Well, to my way of
19 thinking, it's logical to expect that that has
20 been driven by the parasite that has infected
21 virtually every fish when they come into the river
22 and thus, the -- trying to protect early migrants
23 is really wrongheaded in the sense that there is
24 going to be a major loss of those fish where -- so
25 you're not getting yield out of those stocks nor
26 are you getting yield out of the summer run stocks
27 that are passing through unfished at the same
28 time. So it's a -- it's the big problem as far as
29 I'm concerned, and I looked at that, this whole
30 issue, kind of through that lens.

31 Q Thank you. Dr. Riddell?

32 DR. RIDDELL: Well, I mean, I hate to come back to
33 science as a past scientist, 'cause that seems to
34 be what we always recommend, but I just don't
35 think that we can afford not to address improved
36 monitoring and continuing the science work because
37 just simply not putting the money in is
38 transferring those costs to other people, whether
39 it's First Nations in-river that are not allowed
40 to fish or whether it's the commercial fisheries
41 outside that have been substantially curtailed.
42 Other people are bearing some very substantial
43 costs by us not doing sufficient monitoring and
44 science.

45 I would say that while we don't have a direct
46 answer for the Late Run sockeye, we've made some
47 significant inroads in understanding the

1 physiology of the animal and what's causing some
2 of the mortality. That's not to say that we
3 necessarily are going to be able to fix this
4 thing. What I'm concerned about really is looking
5 at the whole picture and a full context of in-
6 season management. We've had problems with
7 sustaining test fisheries. We're getting less
8 information there. The runs are more variable, so
9 if they're variable, you need more information
10 from test fisheries, not less. Right? So the
11 whole information system is going in the wrong
12 direction.

13 We need to do continued work on the mortality
14 in-river. It's got to be extraordinarily
15 difficult for managers to sit in pressure-packed
16 discussions in the peak of the season and you have
17 some estimate that might be that you're going to
18 lose 50 to 80 percent of the fish moving up the
19 river. Right? And we've seen years where that's
20 been true and we've seen years where that simply
21 hasn't even happened. Right? So it's an
22 extraordinarily difficult question to address in-
23 season. We probably can improve some of our
24 forecasting for short timeframes like that, but
25 you're always going to have errors.

26 And so that really, after spending -- or
27 really looking at what's a good investment of
28 funds and how much, I think the next part has
29 really got to be getting people involved and a
30 better sort of planning process. The exercises
31 that I was involved with before leaving are yes,
32 you have multiple stakeholders and you're going to
33 have discussions about expected returns, but they
34 become so protracted that you really don't have
35 discussions about what's an appropriate response
36 when things don't happen the way you plan them to?
37 Because that's what really happens.

38 We make lots and lots of plans about what
39 will happen as the fish come in and then they
40 don't do it the same way. And so you're
41 immediately in a very uncertain environment.
42 You've got to make really hasty corrections. And
43 to be perfectly honest, my opinion is that in-
44 season, they do a phenomenal job. I mean, you
45 really only have to look at 2009/2010. Two
46 totally different responses and I don't think
47 anybody would say that they were incorrectly

1 assessed. Yes, you probably could have fished
2 harder in the return in 2010, but again, you were
3 looking at in-season mortality projections.

4 So, I mean, we talk about W.E. Ricker before.
5 One of the last papers he wrote, his advice was
6 that fisheries managers should expect to be
7 surprised. Expect the unexpected, basically. And
8 so it's a tough environment and I think we are
9 passing costs on to other people if we're not
10 going to do the fundamental work to really examine
11 things like Carl's now finding evidence out for
12 delayed density dependence. Well, we don't know
13 the mechanism. But I would say that the
14 scientists involved now with the tools that they
15 have are narrowing down what those mechanisms
16 might be and maybe we can do a better job in a
17 fairly short period.

18 But the serious concern I hear is constantly
19 less funds, less funds, less funds. So you're
20 more dependent on external funds and that's highly
21 insecure, as well.

22 Q Thank you. Dr. Walters?

23 DR. WALTERS: I just want to reinforce what Brian's
24 saying, that we are entering a period of the next
25 five years it is literally anyone's guess what
26 will happen. We could be entering a Coho world
27 where the declining trends in marine survival and
28 survival rates in all life stages turn out to be
29 not associated with delayed density dependence,
30 but something more like has happened with Coho and
31 we may end up with our fisheries shut down, as we
32 have with Coho for the last more than a decade.
33 Or we could end up seeing a dramatic rebound. We
34 could see strong release and a lot of strong delay
35 density effects because of low stock sizes in the
36 last few years. Things could turn really good.

37 The critical thing is not to have a
38 management system that is -- has become incapable
39 of responding to those alternatives and not to
40 have a management system where the decision-making
41 is dominated by any particular narrow concern,
42 like saving this stock or saving that stock, as it
43 has in recent years.

44 And I think one more thing, a point I would
45 make, is that if the commission is going to have
46 anything to say about where the critical research
47 needs are on sockeye salmon, I hope we've

70
PANEL NO. 18
In chief by Ms. Baker
Cross-exam by Mr. Leadem

1 convinced you that probably the most critical
2 needs and the biggest investment needs to be in
3 the fresh water, not out in the ocean. Where the
4 ocean is -- these variations in ocean mortality
5 seem to be symptomatic of problems that arise in
6 fresh water.

7 DR. RIDDELL: Can I disagree?

8 Q I guess.

9 DR. RIDDELL: Partly. Really quickly. I don't
10 disagree with the fresh water and ocean, but I
11 really caution -- we keep taking this jump from
12 the river to the open ocean and there's a little
13 body of water called the Strait of Georgia that is
14 very workable and I think has much more to contain
15 in terms of understanding what's going on. So I
16 really caution against jumping from river to
17 ocean. I think river, yes, let's progress out
18 from near shore to offshore and a lot of this
19 story, I think, is going to be in the lower river
20 and estuary Strait of Georgia.

21 Q Thank you.

22 DR. RIDDELL: Carl is smiling, so he probably disagrees
23 again.

24 Q Maybe he's agreeing.

25 DR. WALTERS: This is totally self-serving, what you
26 just heard.

27 DR. RIDDELL: They already know that.

28 MS. BAKER: Mr. Commissioner, those are my questions
29 for this panel, so if we're taking an afternoon
30 break, this would probably be a good time to do
31 it, and then we'll start with Mr. Leadem.

32 THE COMMISSIONER: Okay.

33 THE REGISTRAR: Hearing will now recess for ten
34 minutes.

35

36 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)

37 (PROCEEDINGS RECONVENED)

38

39 THE REGISTRAR: Order. The hearing is now resumed.

40 MR. LEADEM: For the record, Mr. Commissioner, Leadem,
41 initial T., appearing as counsel for the
42 Conservation Coalition.

43

44 CROSS-EXAMINATION BY MR. LEADEM:

45

46 Q Dr. Walters, for your benefit, you probably can't
47 see, but there's a whole room full of lawyers who

1 are in basically a run upstream to ask you a line
2 of questions, and I guess I'm considered to be
3 part of the Early Stuart run, because I'm the
4 first one up.

5 And in my questions to you gentlemen, I'm a
6 little bit intimidated taking this podium, because
7 I'm in somewhat awe of the collective wisdom in
8 this room and across the Continental Divide, and
9 so I intend to ask these questions of you, looking
10 for solutions rather than trying to raise some
11 issues and problems that may already exist between
12 you.

13 And I want to begin by starting with a
14 concept of cyclic dominance, not that I understand
15 it, but it appears to be, by the evidence I've
16 heard so far, that cyclic dominance is basically
17 here to stay. And so the first question is:
18 Could or should fisheries managers try to iron out
19 the peaks and valleys so that we can arrive at
20 more of a level aspect of return year after year?
21 And maybe I'll start with you, Dr. Riddell; should
22 we be in the business of trying to iron it all
23 out?

24 DR. RIDDELL: You started with me because I looked most
25 confused? No, I think the answer to that is,
26 "No." That's what we started with. That was one
27 of the primary hypotheses in the sockeye
28 restorations in the late '80s and development of
29 testing, whether we could substantially increase
30 the escapements and improve production.

31 But one of the primary hypotheses behind that
32 is that there -- there was actually a paper,
33 written by David Welch and Don Noakes, looking at
34 the economic return from what you could accomplish
35 if you recovered the off cycles. And, of course,
36 it's a massive number. And Jim Woodey was one of
37 the primary people that probably identified that
38 this is unlikely to work.

39 So I think the answer, as we tried to clarify
40 this morning, is I don't think you're going to
41 accomplish that. You can probably manage to
42 maximize production, but you should let the fish
43 choose how they're going to actually restore
44 production. And if Carl is right and they're
45 going back to a really, really strong year and
46 three off years - I'm not sure I agree that it's
47 going to be that cut and dry - but we may very

1 well have a dominant year, a subdominant year, and
2 then you've got a smaller cycle and then one
3 really small cycle.

4 But the consequence of that to the fisheries,
5 really, is that you've got to look at that across
6 all 19 Fraser production units, and that's from 38
7 conservation units. And so let the fish choose.
8 Choose the right sort of management process. And
9 some of that, now, is the FRSSI and the harvest
10 rate approach, and they'll tell us where they're
11 going to go by system.

12 Q Does anyone else want to weigh in on that
13 question? Dr. Woodey?

14 DR. WOODLEY: Yes, my response to evening out the cyclic
15 dominant stocks is that the theory behind them is
16 that the cyclic dominance large run smaller
17 off/off type thing has the effect of controlling
18 the predation mortality rates through trout and
19 other species, preying on the juveniles in the
20 lakes; that is, cyclic dominance is a lake-driven
21 phenomenon, it's not an ocean issue.

22 And if that is, in fact, correct and I don't
23 think we have data to the extent needed to make
24 that conclusion, we should not attempt to even out
25 the runs or even out the lines on the cyclic
26 dominant stocks. If after all those data are
27 collected, there may be some room on some stocks
28 to try that.

29 But if the theory is right, you even out the
30 lines, more food available each year for the
31 predators, the predator population will increase
32 and mortality rates will increase over all lines.
33 So that's, I think, a bad, from what we know right
34 now, a bad theory. And I don't know, someone who
35 may have read the Alaskan paper - I haven't had
36 the chance - can answer how the Alaskan scientists
37 look at that issue.

38 Q Not having read the Alaskan paper, myself, I don't
39 know if any of you want to comment on the Alaskan
40 situation and how they try to deal with cyclic
41 dominance. Dr. Walters?

42 DR. WALTERS: Around the Pacific Rim there have been
43 four major cases where cyclic dominant stocks
44 have, either deliberately or inadvertently, had
45 their cyclic dominance break down. The first of
46 those was the Kvichak stock in Alaska, in Bristol
47 Bay. It was the world's largest salmon stock.

1 And as a more or less deliberate experiment, they
2 broke up its very violent cycle. It is now listed
3 as a stock of concern in Alaska, meaning that its
4 productivity has dropped dramatically, abundance
5 has been relatively low, and it's just starting to
6 recover.

7 The second case was Rivers Inlet, here in
8 B.C., where we deliberately shut down the fishery
9 and tried to rebuild the stock to test for having
10 the benefits of higher spawning runs. Shortly
11 after that experiment started, Rivers collapsed
12 and it still hasn't recovered.

13 Then we have the Late Stuart and Quesnel
14 stocks on the Fraser, strongly cyclic dominant,
15 but the cycle has broken down over the last 15
16 years, and in both cases the mean productivities
17 of those stocks have dropped dramatically.

18 So I think the evidence is pretty clear that
19 it isn't a good idea, that there's something in
20 the biology of these cyclic stocks that makes
21 them, as Jim says, predators or whatever, that
22 makes them very unproductive when they're not in a
23 cyclic mode.

24 Q Moving onto another line of questions that I have,
25 we've heard some evidence over the last week or so
26 with respect to modelling, a lot of computer
27 modelling, and it leads me to ask this question of
28 this panel: Should we be placing our faith in
29 models to lead us out of some troubled waters?
30 Should we trust models? Is that going to provide
31 us with the answers or the solutions to some of
32 these issues?

33 DR. RIDDELL: Well, I'll start --

34 DR. WALTERS: I'd be happy to weigh in on that one, if
35 you'd like.

36 DR. RIDDELL: Do you want the last word, as usual?

37 DR. WALTERS: I'll just say something real simple here,
38 is: This is not avoidable.

39 DR. RIDDELL: Yes.

40 DR. WALTERS: You know, we have to make quantitative
41 policy decisions, we have to set quantitative
42 goals, we have to set policies out there that have
43 quantitative impacts. Any method that we use to
44 do that involves some kind of model, logically,
45 necessarily. The issue is not whether to use the
46 model, it's which models to use. And while we
47 certainly do not trust those computer models, I

1 trust them a lot more than I trust somebody
2 sticking their hand up in the air and pretending
3 to be able to intuit the answer to these
4 questions, with a middle model that has goodness
5 knows what crazy hidden assumptions.

6 Q Dr. Riddell?

7 DR. RIDDELL: Well, my answer would be very similar. I
8 mean, I think it's unavoidable, but I don't think
9 that you castigate all models; it's how people use
10 models. Models are described as a representation.
11 We should use models as a way of representing what
12 we understand, seeing whether the data supports
13 that, and that, to me, is a critical step in this
14 to see whether or not we have the right data, do
15 we have -- are we missing key pieces of
16 information, and use the models to make
17 predictions of our understanding and then see
18 whether or not this -- are we really gaining, are
19 we understanding what's going on.

20 So I don't think that we pretend to
21 understand all predictions and models. Models are
22 getting increasingly complicated because of our
23 computing power, ecosystem-based models are very
24 complicated, but people have made huge strides in
25 how you actually model that type of an
26 environment. So yes, I think we'll continue to
27 use models. It's one of the few ways that can
28 really test our understanding of complex systems,
29 and we need to be cautious about how we use them,
30 not -- we certainly aren't going to be able to
31 avoid them.

32 Q I'm wondering how fisheries were managed before
33 computer models, and I'm thinking in terms of the
34 way that you approached the seine fisheries back
35 during the '70s and '80s, Dr. Woodey? I mean,
36 obviously you did not have the benefit of these
37 complicated and complex computer models, yet
38 somehow fishery managers made some choices, and
39 what was the prevailing guidance that you fell
40 back upon in those days?

41 DR. WOODEY: The Pacific Salmon Commission had a fairly
42 narrow mandate that was the commercial fisheries
43 and the -- I should say, excuse me, the IPFSC, and
44 when I came aboard we were trying to monitor the
45 stocks in ways that were quantitative, but there
46 wasn't much real good quantitative evaluation. I
47 spent a fair amount of time at the SFU computing

1 centre in the early '70s, looking at production
2 dynamics, stock separation, methodology,
3 discriminate function analysis, which is just
4 another -- just a computer-driven way of analyzing
5 stock composition in the fishery samples of what
6 proportion of the fish were of each stock and so
7 on, and then we developed hydroacoustics
8 estimations of upstream migration.

9 So we went from relatively little
10 technological in put to a fairly intense
11 technological process, and that then allowed us to
12 evaluate both -- get information on abundances,
13 the fish were coming through Juan de Fuca and
14 Johnstone Straits, the migration upstream, and
15 putting that all together with harvests and so on,
16 and we could monitor the run. And decision-making
17 in that period became a day-to-day thing,
18 particularly after the PSC was formed, and for a
19 lot of years, then, it's that kind of hands-on
20 management, using computers and models, but
21 ensuring that there was some intelligence with
22 them.

23 And just to go back to the original question,
24 the models were not evil or bad in themselves, but
25 you want to be sure that you have the right team
26 to work with models. You need the really hotshot
27 modellers, but you need the biological input to
28 rationalize what's going in and coming out of
29 those models. So it's teamwork that really goes a
30 long way in these modelling issues.

31 Q I saw that you had your hand up, Dr. Walters. Did
32 you want to weigh in on this again?

33 DR. WALTERS: Yes. We've done retrospective looks at
34 the big complex management systems up and down the
35 coast, from Bristol Bay and Skeena and Fraser and
36 so on. If you just look at the harvest rates
37 achieved over time in those management systems,
38 what you realize after a minute is that basically
39 what they've done is to stabilize the harvest
40 rates, even though they claim to be doing all
41 sorts of more complicated things and they do
42 respond, occasionally, to extreme events like
43 we've had since the mid '90s.

44 But most of the time, the way they've
45 managed, in the old days and in the new days, is
46 to do what you did last year, that results in a
47 fairly stable exploit. You have fisheries in

1 roughly the same times and places and you'll end
2 up with fairly stable exploitation rates.

3 So that, actually, is a simple way to get
4 around a lot of the complex modelling, is to
5 pretend to be doing all sorts of escapement goals
6 and so on, but then to keep relevant this stable
7 and simple exploitation regime that's in place
8 that have proven to be sustainable.

9 Q I want to move onto an area of how we conduct our
10 fishery, and I want to see if we can tackle the
11 issue of foregone fishing opportunities, which is
12 another way of saying, I gather, over-escapement.
13 And the way that we have aligned the fishery in
14 four run timing groups with aggregated stocks with
15 some weak conservation units being mixed up with
16 some very robust runs of fish, strikes me as being
17 very problematic, and I think some of you have
18 certainly alluded to this already in giving your
19 evidence.

20 And so I'm wondering if we can address the
21 issue by trying to segregate out the conservation
22 units from the robust units. I'm not necessarily
23 thinking that terminal fisheries is the panacea,
24 but I'm wondering if there's some approach that
25 your good minds have turned your attention to that
26 you can give some advice to the Commissioner on
27 this topic, because it seems to be a real niggling
28 point that the commercial fishing is sometimes
29 foregone because of the concern for conservation
30 and some of these weaker stocks, be it Cultus or
31 some other stock, and I'm wondering if you have
32 some solutions in mind that can address some of
33 these weighty problems.

34 DR. RIDDELL: I don't think so. I mean, that's the
35 question on people's mind for years. We joke
36 about it, but, I mean, the IPFSC, again, was kind
37 of leading on the coast. The scale pattern
38 analysis was Ken Henry, right, early 1950s. So
39 recognizing immediately that whether you call them
40 threatened or endangered now, there were always
41 some populations that needed some other level of
42 conservation. We've put a lot of effort, in the
43 science branch, by development of DNA techniques
44 so that we can very, very rapidly get the best
45 possible information.

46 I'd say the limitation, now, on the quality
47 of the stock ID is, again, the test fisheries. In

1 the past, we probably forget that with fisheries
2 functioning at a level to sustain as 75-77 percent
3 harvest rate, there was lots of fish to sample,
4 all right? Now, where you have a couple of test
5 fisheries, it's quite possible that you're
6 sampling a small portion of the run. Well, you
7 are.

8 And so I don't think you can avoid the issue.
9 You certainly can't break it down in any finer
10 time scales. We're certainly finding that, in
11 more recent years, as people are more and more
12 concerned about climate change and effects on
13 ocean waters, the returns are becoming more
14 variable, not less variable, and so there's
15 greater overlap, probably, between the stocks.

16 So I think the stock mixture by the timing
17 groups is about as good as you're going to get.
18 The mixture within the time groups is reality, I'm
19 afraid. And then it's a matter of where you
20 actually harvest and how big an effect you have.

21 We talk about changing where some of the
22 fisheries occur to reduce impacts. I mean, when
23 you really look at that, there's not even a great
24 deal of opportunity to significantly change that
25 opportunity. We've got to get up to where the
26 major tributaries separate. So I'm not sure
27 there's an easy way out of that one. I think
28 we've done a very good job in getting down to
29 rapid turnaround of very good information. I'm
30 actually more concerned about the repeatability of
31 the sampling and the DNA, the stock ID, than I am
32 about the tools that we have available.

33 Q It just struck me that basically the run timing
34 groups and the way that the fishery is managed,
35 you've got to admit are all human constructs, and
36 that what we're endeavouring to do is to really
37 tackle a biological issue that is admittedly very
38 complex. I mean, we've got lifecycle issues,
39 we've got a species that, for much of its
40 lifecycle, it's a very black box in terms of where
41 it goes and what it does, and I'm wondering
42 whether or not, because we, as humans, decide that
43 we're going to harvest these species, whether we
44 can do it in a way that is less -- poses less of a
45 problem to the fish, poses less of a problem, and
46 works through some of these issues where we get to
47 basically have our fish and eat it, too, that we

1 can conserve them and still have them for
2 harvesting purposes. And if you people can't come
3 up with solutions, I don't know how we, as
4 lawyers, are expected to come up with solutions,
5 so --

6 DR. RIDDELL: We don't expect that.

7 Q Well, maybe my problem is that I'm aiming too
8 high, because I think we're all here trying to
9 find solutions. And we obviously have a problem
10 that you have defined, and I've tried to define
11 for you, in some sense, and that is that we have
12 various sectors that have a very live and robust
13 interest in fish, and we have a commercial
14 interest in fish and we have a First Nations
15 spiritual interest in fish, and we have a
16 conservation interest in fish, and I'm wondering
17 if the model we've chosen - and I'm not talking,
18 now, Dr. Walters, about computer modelling, I'm
19 just talking about the process - I'm wondering
20 about the process that we've chosen, it is
21 actually the right process that allows everyone to
22 sort of have what they see as being a value in the
23 salmon at the same time.

24 DR. RIDDELL: Well, I feel I should let somebody else
25 go ahead.

26 Q I don't know whether I'm having any takers, and
27 usually Dr. Walters has his hand up by now, and I
28 don't see it.

29 DR. RIDDELL: Well, I'll maybe just add to the -- I
30 guess the premise to my comment would be that
31 you're still fishing where we've always fished and
32 we have made changes to that, as a matter of fact,
33 because the effort is down, as we all know. But,
34 I mean, you can limit the harvest rate outside,
35 and if you're prepared to move the fisheries, then
36 you can reduce the impact on certain conservation
37 units. But if you're going to be fishing in
38 roughly the same pattern, with just modest moves
39 in-river, I'm afraid the conflict that you're
40 identifying is part of reality.

41 Q Dr. Woodey, you wanted to re-jig some of the runs,
42 as I understand it, some time ago. Maybe that's
43 the wrong expression, but you wanted to move, for
44 example, Scotch/Seymour from Early Summer to
45 Summer runs, and you've made some recommendations
46 about reconfiguring some of the runs, some of the
47 run timing groups, and some of the actual aspects

1 of the 19 stocks that have been identified. Do
2 you still think that that's something that ought
3 to be examined and looked at?

4 DR. WOODEY: Mr. Commissioner, this goes back to about
5 1987, or something of this nature, in response to
6 a question from the Fraser River Panel regarding
7 the stock units that we used, the Early Stuart,
8 the Early Summers, the Mid Summers and Late runs,
9 we were asked to evaluate the best sets of stocks
10 to include in each of those components, because we
11 were managing the Summer run fish, whether that
12 included Chilko, Quesnel, Late Stuart, Stellako,
13 et cetera, and then we were separating that from
14 the management of the Early Summer stocks and so
15 on, and so I made a recommendation, which I
16 thought, at the time, would simply give a better
17 definition of these stock groups, based on their
18 average timing.

19 That was not adopted by the panel, and I
20 can't give you a clearer answer as to why they did
21 not feel it was necessary or desirable.

22 DR. RIDDELL: If I could just comment on that. I mean,
23 to say you could move a couple of the stocks
24 around, I don't see how it, fundamentally, really
25 addresses the major restraints in the ocean
26 fisheries. I think you're still faced with the
27 same sort of problem of recognizing the stocks,
28 assessing how hard you can fish, what the net
29 effect is. A more recent discussion of the same
30 topic, wasn't it the Harrison Lates, in terms of
31 whether the -- was the Harrison Fall really a
32 Summer stock or a Late run? And that actually did
33 have some consequence, but really wasn't going to
34 solve the major stock problems in the Upper River.

35 Q I see Dr. Walters wants to comment.

36 DR. WALTERS: Yeah, I mean, one of the most fundamental
37 ideas of fisheries management is you can't eat
38 your cake and have it. You can't have a very
39 large spawning stock size and have a high harvest
40 at the same time. Your harvesting is going to
41 reduce the abundance of the spawning fish, and so
42 you're always dealing with the trade-off and the
43 balance there.

44 I have to agree with something Ken Wilson
45 said earlier, is that if we must maintain all
46 stocks for legal or other reasons, then we have no
47 real choice but to move to spatial management, to

1 move the fisheries substantially.

2 But let me point out one thing, is that
3 people talk as though there were lots and lots of
4 Cultus stocks and lots and lots of Raft River
5 stocks and so on. We're not really talking about
6 a large number of populations that are at
7 significant risk; we're talking about a small
8 number of them. And at least a couple of those
9 are in the early timing parts of the runs where we
10 already are hoarding them and can't afford them
11 more protection without substantial impact on the
12 fisheries. The number of stocks at risk in the
13 summer and fall timing components of the Fraser
14 run is actually quite small. Cultus is the main
15 one.

16 So I think a bit of careful thinking and
17 triage can go a long way towards reducing the
18 apparent complexity and severity of the problem.

19 Q Thank you for that, Dr. Walters. I want to move
20 onto another question, and Dr. Riddell, you've
21 been here a couple of times and in part you've
22 answered this question, but I don't mind hearing
23 from you again.

24 The 2010 returns, I think that a lot of us
25 who watched the fishery were just amazed, after so
26 many years of decline, that we saw such an
27 abundant return last summer, and it certainly
28 defied all the forecasting and all the modelling
29 that went into it and into predicting what was
30 going to happen, and I'm wondering if we have any
31 scientific rationale for why that occurred, or any
32 rationale from any population dynamics study that
33 would allow us to address that issue as an example
34 of something that went right as opposed to things
35 that often go wrong.

36 Do we know, as scientists, and all of you are
37 in the position of being scientists that advised
38 decision-makers and advised various aspects of
39 stakeholders, do we know what went right in 2010,
40 why there was such a great return? Do we have any
41 reasonable hypotheses that are developing out
42 there?

43 DR. RIDDELL: As you've said, you've heard from me, so
44 maybe I should let others go and then I'll give my
45 speech.

46 Q All right. Dr. Woodey, you've been around salmon
47 most of your life. You've dedicated your life to

1 salmon. Do you have any explanation for why they
2 came back in such record numbers last year?

3 DR. WOODEY: Not really. But we have seen situations
4 that individual stocks and all stocks across the
5 board have had unusually high survival rates in
6 the ocean in the past, so say, for example, Chilko
7 has a mean survival rate of about nine percent;
8 that is, nine percent of the smolts leaving Chilko
9 Lake, on average, return as adults to the fishery,
10 et cetera. But there has been situations where
11 it's been up in the 25 percent. And same with
12 Quesnel. So it's not highly unusual.

13 I related an interesting comment to Ms. Baker
14 at one of her meetings, and if you'll pardon me,
15 I'll explain what went on in this. On July 7th, I
16 took my cat to the vet. Now, well, the vet has a
17 cabin on Broughton Island, and his neighbour is
18 Billy Proctor. Billy Proctor is a fisherman, he's
19 like 80 years old, he's fished all of his life,
20 he's lived there all his life, and he told my vet
21 that -- well, my vet said 40 million; Billy
22 Proctor told me 24 million, because he saw so many
23 juveniles there in that area that year, that he
24 knew there would be a big run.

25 So there may be things going on in the ocean,
26 but you don't have a large return if you don't
27 have a good number of juveniles making it to the
28 top end of Johnstone Strait. So that's an
29 interesting little sidelight, one of which then
30 said to me, "Maybe we should put him on staff,"
31 you know.

32 Q Maybe we should invite him as a witness to the
33 Commission. Mr. Wilson, do you have any views on
34 this?

35 MR. WILSON: Not really. I have no clue why we saw
36 such a wonderful return in 2010.

37 Q And Dr. Walters?

38 DR. WALTERS: Fisheries scientists have been singularly
39 unsuccessful when these big returns -- big
40 recruitments occur at explaining them and any kind
41 of fish talk, whether it's cods or salmon, or
42 anything else, but a key point Jim Woodey made is
43 that this really was not that unusual an event.
44 It's wrong to call it a record, in any sense.

45 We say that the Adams run came back with
46 about a plus one point three recruitment only;
47 it's survival rate was about one point three

1 standard deviations above average. Something like
2 that happens in the order of once every 20 to 25
3 years. What's unusual is when that positive
4 survival anomaly happens in conjunction with a
5 dominant return, so you have just the right
6 million or so female spawners producing it.

7 This very nearly the same size run last
8 happened on the Adams in 1958. It was just a
9 couple million fish smaller than this one. But
10 you shouldn't think of it as being a really
11 extraordinary outcome at all. It's just things
12 were added up right; the right number of fish with
13 a reasonably good survival.

14 MR. LEADEM: Perhaps, on that note, perhaps, Mr.
15 Commissioner, noting the time, we can end on that
16 note. I'm virtually finished with my questioning.
17 I would like to review my notes overnight and then
18 we can come back tomorrow. If I have no more
19 questions, I'll turn it over to Mr. Taylor.

20 THE COMMISSIONER: Thank you very much, Mr. Leadem.

21 THE REGISTRAR: The hearing is now adjourned for the
22 day and will resume at ten o'clock tomorrow
23 morning.
24

25 (PROCEEDINGS ADJOURNED AT 4:03 P.M. TO
26 THURSDAY, FEBRUARY 10, 2011, AT 10:00 A.M.)
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47

1 I HEREBY CERTIFY the foregoing to be a
2 true and accurate transcript of the
3 evidence recorded on a sound recording
4 apparatus, transcribed to the best of my
5 skill and ability, and in accordance
6 with applicable standards.
7
8
9

10 _____
11 Pat Neumann
12

13 I HEREBY CERTIFY the foregoing to be a
14 true and accurate transcript of the
15 evidence recorded on a sound recording
16 apparatus, transcribed to the best of my
17 skill and ability, and in accordance
18 with applicable standards.
19
20
21

22 _____
23 Diane Rochfort
24

25 I HEREBY CERTIFY the foregoing to be a
26 true and accurate transcript of the
27 evidence recorded on a sound recording
28 apparatus, transcribed to the best of my
29 skill and ability, and in accordance
30 with applicable standards.
31
32

33 _____
34 Susan Osborne
35

36 I HEREBY CERTIFY the foregoing to be a
37 true and accurate transcript of the
38 evidence recorded on a sound recording
39 apparatus, transcribed to the best of my
40 skill and ability, and in accordance
41 with applicable standards.
42
43

44 _____
45 Karen Hefferland
46
47