

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Tuesday, April 19, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mardi 19 avril 2011

APPEARANCES / COMPARUTIONS

Patrick McGowan Jennifer Chan	Associate Commission Counsel Junior Commission Counsel
Mark East Charles Fugère	Government of Canada ("CAN")
Tara Callan	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCAUEW")
David Bursey	Rio Tinto Alcan Inc. ("RTAI")
No appearance	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
Don Rosenbloom	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Christopher Harvey, Q.C.	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
No appearance	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Anja Brown Crystal Reeves	First Nations Coalition; First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

Tim Dickson	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society James Walkus and Chief Harold Sewid Aboriginal Aquaculture Association ("LJHAH")
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")
No appearance	Heiltsuk Tribal Council ("HTC")

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
MARK JOHANNES	
Cross-exam by Ms. Callan	1
Cross-exam by Mr. Leadem	13/29
Cross-exam by Mr. Rosenbloom	33
Cross-exam by Mr. Harvey	51
Cross-exam by Ms. Brown	63/80
Cross-exam by Mr. Dickson	83

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
743	Habitat Compensation, Restoration and Creation in the Fraser River Estuary, dated 1996, by Ron Kistriz	23
744	Walters et al, Rivers Inlet Sockeye Salmon: An Experiment in Adaptive Management, 1993	63
745	Annual Report - Burrard Inlet Environmental Action Program, Fraser River Estuary Management Program (FREMP), 2009-2010	68
746	Saving the Heart of the Fraser - Addressing Human Impacts to the Aquatic Ecosystem of the Fraser River, Hope to Mission, Nov 2007	82
747	Douglas, Review of Groundwater - Salmon Interactions in British Columbia, Nov 2006 [Watershed Watch]	83
735-B	Reynolds, Review of Cohen Commission Technical Report 12, Jan 13, 2011	92
735-C	Rosenau, Review of Cohen Commission Technical Report 12, Dec 22, 2010, and General Comments, Dec 2010 - Jan 2011	92

1
Mark Johannes
Cross-exam by Ms. Callan (BCPROV)

1 Vancouver, B.C./Vancouver
2 (C.-B.)
3 April 19, 2011/le 19 avril
4 2011
5

6 THE REGISTRAR: Order. The hearing is now resumed.

7 MS. CALLAN: Callan, C-a-l-l-a-n, initials T.E.,
8 appearing on behalf of Her Majesty the Queen in
9 Right of the Province of British Columbia. I
10 expect I'll be a half hour.
11

12 CROSS-EXAMINATION BY MS. CALLAN:
13

14 Q You'd agree that population growth, solid waste,
15 wastewater, contaminants and non-indigenous
16 species are unlikely the causes for declining
17 populations of sockeye from 1990 to 2009?

18 A I'm going to access that very last table in my
19 document as a summary. Pardon me, you said,
20 population, land use?

21 Q I said, population growth, solid waste,
22 wastewater, contaminants and non-indigenous
23 species.

24 A Have a low interaction with sockeye habitats and
25 the risk of their loss, yes.

26 Q And you'd agree to this because each one of these
27 elements have remained stable over time while the
28 sockeye were decreasing?

29 A I would say that each one of those issues, not
30 necessarily remaining stable, have been dealt with
31 either through regulatory structure or some
32 approach which has allowed them and their
33 potential interaction and effect on sockeye
34 habitat and habitat use to remain relatively
35 stable, or at least not be an association which
36 would drive a decline of sockeye numbers.

37 Q Can you tell me about the habitat protection
38 strategies that are being used for British
39 Columbia sockeye salmon habitats?

40 A I don't know if I'll do them justice at all in
41 terms of their extent or their approach, but I
42 certainly can tell you with which ones I've had
43 experience, if that's okay?

44 Q That's perfectly fine.

45 A And at a first level will be the **Fisheries Act**,
46 s. 35 and, in some parts, s. 36. The association
47 with loss of fish habitats and, in this case, the

April 19, 2011

1 review of projects which might have implications
2 of having or losing habitat associated with the
3 project's development and/or changes through
4 operations of projects which might have
5 implications on changing habitats. That sort of
6 regulatory structure is enforced by a number of
7 agencies and looked at by the more junior
8 agencies, if I can call them that, groups like the
9 regional districts and the municipalities, as one
10 of the major regulatory approaches used to at
11 least protect habitat and understand the
12 ramifications of its destruction.

13 The second is the **Water Act**, with a number of
14 sections through the **Water Act**, which is a **British**
15 **Columbia Water Act**, rather than a federal
16 fisheries act. And associated with that are a
17 number of issues in riparian areas and in streams
18 that allow for permitting associated with changes
19 in those corridors that provide pretty strict
20 regulatory structure in terms of what can and
21 cannot be done and how it should be dealt with.
22 That's a second one.

23 On the larger scale, there's a number of
24 policies and management guidelines and best
25 management practices that are embedded in, but
26 most of the people working in the world on land
27 and near rivers deal with those are -- are land
28 guidelines, best management practices from the
29 Province and the Federal Government, a number of
30 guidelines, and again, I won't do those well --
31 service unless I'd had a compiled list, but
32 there's numbers of them.

33 Then, within more local jurisdictions, where
34 there's land and land development issues
35 associated with water courses from riparian areas,
36 we'd find in place things as simple -- for
37 example, the City of Burnaby has a fairly rigorous
38 erosion and sediment control bylaw system that
39 allows for -- doesn't allow for, it's actually
40 monitored and audited when projects are developed.

41 Similarly, the Metro Vancouver, at a larger
42 regional district level, has best practices and
43 environmental policies that are in place, and
44 approaches.

45 So that's a sort of distribution of those
46 kind of things.

47 Q Okay. And you'd agree that these habitat

- 1 protection strategies used in the Lower Fraser
2 appear to be effective at supporting sockeye
3 habitat conservation?
- 4 A I'm not sure that there hasn't been a change. I
5 think that the implications of the changes in
6 sockeye habitats in the Lower Fraser have not had
7 a population level effect.
- 8 Q You'd agree that large industrial and
9 infrastructure project impacts are low because
10 sockeye residence is limited to the upstream
11 migration?
- 12 A I think you're going to have to rephrase that
13 question a little bit, please.
- 14 Q Okay, if we could turn to page 42 of your report.
- 15 A I'm sorry?
- 16 Q If you could turn to page 42 of your report.
- 17 A Yes.
- 18 Q And you'd agree that you say:
19
20 Duration is low in the lower Fraser River
21 because residence period is limited for most
22 sockeye using the river as a migration
23 corridor.
24
- 25 A Yes.
- 26 Q Okay. So then would you agree that the impacts
27 are low because the duration is low?
- 28 A In most cases both migratory -- migrating adult
29 salmon and migrating juvenile salmon do not spend
30 an awful lot of time there.
- 31 Q Okay.
- 32 A There are certainly some holding areas that adults
33 used, and that's getting into the details, again,
34 about specific races or subpopulations of the
35 Fraser, but at the population level, looking at
36 the larger characteristics, adults migrate through
37 that area; juveniles migrate downstream out of
38 that area.
- 39 Q Okay. And would you agree that the magnitude is
40 low because there's been limited project
41 development adjacent to sockeye habitat?
- 42 A I would preface that with saying recent project
43 development, yeah, over -- certainly over the last
44 two decades has been lower than in the past.
- 45 Q Okay. So then you'd agree that that's the period
46 of 1990 to 2011?
- 47 A 2010, yes.

- 1 Q Okay. And you'd agree that agriculture and
2 forestry do not interact with key sockeye
3 habitats?
- 4 A They do interact with key sockeye habitats in
5 certain areas, but their rate of land use in those
6 areas has declined relative to, again, a pre-1990
7 period. So there is interaction, but it certainly
8 isn't, as we go through at the population level,
9 isn't going to be the association which drives a
10 change in the numbers of sockeye salmon through
11 the Fraser.
- 12 Q Okay. So you would agree, though, that
13 agriculture and forestry activities in the Strait
14 of Georgia, specifically, and the Juan de Fuca
15 Strait do not interact with key sockeye habitats,
16 though?
- 17 A Their interaction is limited.
- 18 Q Okay. And that there's little or no evidence to
19 suggest that the indirect effects, i.e. runoff
20 quality from these land uses, are negatively
21 impacting water quality in sockeye habitats?
- 22 A Relative to the period before 1990 --
- 23 Q Okay.
- 24 A -- there is not a change that explains the
25 dramatic declines in the population level of
26 sockeye.
- 27 Q Okay. And in your report you assigned a low risk
28 to wastewater effects on sockeye salmon? Page 62
29 should help.
- 30 A Again, what I suggest is that there's been
31 regulatory controls on liquid wastes, which have,
32 through many of the wastewater treatment systems
33 that we looked at, had, relative to the pre-1990
34 period to the post-1990 period, those regulatory
35 structures have been improved, that the water
36 quality characteristics in most cases, with the
37 exception of what we were speaking about, about
38 PBDEs, yesterday has, in fact, remained the same
39 if not, in some cases, improved.
- 40 Q Okay. Can you describe the improvements that have
41 occurred in the last two decades with respect to
42 liquid waste disposal?
- 43 A I won't be able to describe them all, but
44 certainly the characteristics and the trend is
45 upgrades, for example, in Lions Gate wastewater
46 treatment plant in terms of its ability to treat
47 volumes of water, the types of water it's treated,

1 how much sludge is developed, the characteristics
2 of the biological oxygen demand of that sludge,
3 the total suspended solids that's both removed and
4 put into the environment, those kind of
5 characteristics. And the only reference I can
6 really give you is on Map, I think it's, 9-A or
7 9-B.

8 And so when we've -- we've illustrated these
9 findings over at least the 10-year period, what
10 you're saying is, you know, fairly consistent
11 levels of tons per year, which is a concentration,
12 a measure out into the environment that these
13 wastewater treatment plants again, you know, using
14 this sort of information and the general
15 discussion that you find in the wastewater liquid
16 wastewater management planning through Metro
17 Vancouver, which is one of the documents I cite a
18 number of times, they indicate stronger regulatory
19 function and a compliance through the British
20 Columbia regulatory structure, too.

21 Q Okay. And that's the total tons are relatively
22 consistent?

23 A Tons per year, that I'm looking at and one of the
24 insights certainly show that, you know, there's
25 some variation, but it's limited to less than --
26 certainly less than 10 percent annually.

27 Q Okay. So because of population growth, then the
28 average per person is actually decreasing?

29 A I'm not sure about how those numbers relate.
30 Certainly the number -- the volume of water in
31 terms of billions of litres, has been increasing,
32 of course, and that's just the nature of people
33 flushing toilets and showering every day, and so
34 that amount of water has enhanced, but it's,
35 again, the measure that they use that that's
36 distributed that was accessible to us suggests the
37 number, or at least the concentration of material
38 being put in the environment has been attempted to
39 remain the same.

40 So with that, Iona -- Iona has, in fact,
41 expanded its wetland capacity to hold more sludge,
42 treat more water in different processes. There's
43 been upgrades to Annacis Island from a tertiary --
44 from a primary to a secondary treatment, which
45 removes a lot more material in different ways.
46 And so the characteristics of those sites have
47 improved and have been improving, and that

1 certainly is an ongoing effort from many agencies'
2 perspectives, including groups like the Fraser
3 River Estuary Management Program as initiatives to
4 drive those changes in certain ways.

5 So we were, again, looking at population-
6 level characteristics and indicators that
7 represented large change that might have
8 implications on the habitats that sockeye use and
9 their potential for loss or degradation of those
10 habitats. And so from that driven opinion what we
11 found was, in this case, we weren't certainly
12 seeing liquid waste as one of the drivers for that
13 decline and change.

14 Q And you'd also agree, though, that the duration of
15 interaction with sockeye is limited because
16 they're moving through that area in their upstream
17 and their return to -- and their downstream
18 migrations?

19 A With the exception of what we spoke about in river
20 type, Harrison or river-type sockeye from the
21 Fraser that the general understanding that we've
22 developed and in fairly detailed review of
23 information, was that these animals are moving
24 through those portions of the Lower Fraser River
25 and the estuary fairly quickly. Similarly, with
26 the exception of some of the adult races, I'll
27 call them that, that that move through the Lower
28 Fraser River, most of them migrate fairly quickly
29 through those areas, so their exposure through
30 duration is probably not particularly long.

31 But these are pretty sensitive animals.
32 They've got good snouts for smelling things. I
33 mean, that's how they're finding their rivers of
34 origin in the first place. So I think, if I were
35 swimming in there, I would certainly perceive
36 changes in my environment and move out of those
37 areas fairly quickly, and there is evidence that
38 supports that certain notion for sockeye,
39 particularly, when you look at the examples of how
40 adult sockeye migrate through Alberni Inlet and
41 Barkley Sound, with all sorts of historic issues
42 there.

43 Q Okay. If you could turn to Exhibit 736, which is
44 Tab 5 of Commission Counsel's book. And if you
45 could turn to page 20 and look at Table 2. Do you
46 have it in front of you?

47 A Yes.

- 1 Q Okay. You'd agree that there have been net
2 habitat gains in riparian habitat?
- 3 A Based on Harper and Quigley's results to the mid
4 '90s, that certainly is an indication on this
5 table, yes.
- 6 Q Okay. And with respect to riverine off-channel
7 habitat there's also been a net gain?
- 8 A There it indicates there's a minus 138.
- 9 Q No, no, that's in-channel. I'm asking about off-
10 channel.
- 11 A Sorry, there -- yes, it indicates some change
12 there. Again, we don't know the characteristics
13 of these projects, where they are, where they're
14 not.
- 15 Q Okay. But you would agree that in riverine off-
16 channel there has been, according to Harper and
17 Quigley, a net gain of 16,106 metres squared?
- 18 A That's what they're indicating in Table 2, yes.
- 19 Q Okay. And with respect to lacustrine habitat,
20 there's also been a net gain, according to --
- 21 A Lacustrine, lake habitats, they're, again,
22 indicating a positive estimate, yes.
- 23 Q Okay. And additionally, with estuarine, there's
24 also been a net gain according to Harper and
25 Quigley?
- 26 A Yes.
- 27 Q Okay. Now, if you could turn to Exhibit 667,
28 which is Tab 4 of Commission Counsel's book, and
29 turn to page 348, and if you look at Table 4,
30 you'd agree that the balance, according to Harper
31 and Quigley, is a net gain of 600,776 square
32 metres?
- 33 A Across all of Canada in the projects that they
34 reviewed, this is what Table 4 indicates, yes.
- 35 Q And in this chart you'd also agree that almost all
36 of the categories of various habitats have also
37 shown a net gain?
- 38 A That's certainly what this table seems to
39 indicate, yes.
- 40 Q Okay. Now, you'd agree that some of the -- there
41 are some issues with the Harper and Quigley
42 papers, and that would include Tab 3 as well,
43 which is 737, Exhibit 737?
- 44 A I'd agree there's lots of issues associated with
45 this audit in terms of the information that's
46 provided and the characteristics that it provides,
47 and then the species of fish that it addresses in

1 terms of habitats and characteristics.

2 Q Okay. And some of the criticisms might be poor
3 reporting or follow-up and the short-term nature
4 of monitoring?

5 A Those are some of the characteristics, yes.

6 Q Okay. If we could now turn to Exhibit 738, which
7 is the Beamish paper, and if we could turn to page
8 2, well, the 2 that's actually not the second page
9 in the report but 2 on the bottom, which is --
10 yeah, that's the right one. Do you agree with the
11 following quote:
12

13 The environmental forcing that resulted in
14 the poor sockeye salmon returns in 2009 was
15 probably caused by a combination of large,
16 early flows from the Fraser River, strong
17 winds blowing up the strait, followed by a
18 period of relatively weak winds. High
19 freshwater discharge combined with winds that
20 confine the brackish surface waters within
21 the strait appear to have affected the
22 stability of the surface mixing layer.
23 Analysis shows that the spring of 2007 was
24 highlighted by an estimate of mixing layer
25 depth that was the shallowest in 30 years,
26 most likely resulting in...reduced production
27 of the preferred food for juvenile Pacific
28 salmon.
29

30 Do you agree with that statement?

31 A I certainly agree with many aspects of that
32 statement. There are some parts, again, the
33 devils are in the details on some of the
34 characteristics in terms of the mixing layer depth
35 and its representation of the information that Dr.
36 Beamish has presented here. But, in general, I
37 would support that -- the statement about poorly
38 developed plankton producing layer is fairly
39 fundamental, yes.

40 Q Okay. And where is plankton, normally?

41 A Zooplankton, as opposed to phytoplankton, those
42 are the two characteristics. Phytoplankton are
43 autotrophs. They're algae, green algae, blue
44 algae, diatoms. Those are normally produced in
45 what's called a photic layer, and the photic layer
46 is just simply the transparency. So when you go
47 to a glacial lake you can only see through it at a

1 certain depth because the light cannot penetrate.

2 When you go to a place like Great Central
3 Lake, the light penetrates to 15 metres, because
4 it's a very clear lake. In the ocean, that
5 changes fairly dramatically with the Fraser plume,
6 the characteristics into the Strait of Georgia,
7 different algae blooms, but normally that layer,
8 it transitions over the summer as nutrients become
9 available and changes in depths, it's about the
10 top 15 metres or so that phytoplankton might
11 inhabit.

12 Sorry for the long explanation.

13 Q No, no.

14 A As you extend into other species and get to larger
15 zooplankton that are more like fish in terms of
16 their ability to move, euphausiids will migrate
17 throughout the water column. Mysids and other,
18 larger, plankton species - krill, that we call
19 them - move up and down the water column
20 continuously, and they're in almost 100 metres of
21 water.

22 But the preferred kind of layers in this
23 mixing layer, which doesn't happen so frequently
24 in the Strait of Georgia, is usually around the 10
25 to 15 metres, and the best example of that is when
26 you -- if you go out salmon fishing and you're
27 looking at your depth sounder and you see those
28 kind of dense layers, not of fish, but just dense
29 layers of stuff, that's usually the plankton layer
30 that's of focus and discussion here.

31 Q Okay. So you'd agree, then, that the plankton
32 that sockeye salmon eat is in the top 15 metres of
33 water?

34 A Certainly is the -- seems to be what they eat.
35 They're fairly diverse in the nature of the things
36 that they do eat, so...

37 Q Okay. And is there any distinguishment between
38 smolts, frys and adults in that regard?

39 A Adults aren't feeding in the Strait of Georgia, at
40 least certainly not as they get closer to the
41 Fraser River. Fry, certainly the work by Beacham
42 suggests that they have a fairly decent diversity
43 of things that live in the surface water column.

44 Smolt sockeye tend to be in large schools and
45 look for those aggregations of plankton and fish
46 and jellyfish, and anything else that they can
47 find, and so they're in those sorts of layers,

- 1 generally, yes.
- 2 Q Okay. All right, can you define in your words
3 what bioaccumulation means?
- 4 A In my words, bioaccumulation. Again, I'm not an
5 expert in this area. My understanding of it is if
6 I eat too many donuts that I will get a layer of
7 fat that accumulates around me. The
8 bioaccumulation part of that is if there's
9 something bad in the donuts it may just settle in
10 my waistline and not be moved out of me
11 particularly easily or quickly.
- 12 Q Okay. So what I'm trying to get you to agree to
13 is that basically in a food chain everybody's
14 eating different levels. So the bottom of the
15 food chain is ate by the middle of the food chain,
16 and the middle of the food chain is ate by the top
17 of the food chain?
- 18 A The analogy of Arctic hares eating grass and foxes
19 eating Arctic hares, yeah. I mean, each of them
20 eat their sort of levels and they've got their
21 preferred sets of prey. What makes salmon very
22 unique and a very interesting species is their
23 behavioural plasticity it's kind of called, their
24 ability to sort and sample their environment to
25 figure out what's going on.
- 26 Q Okay. So then with bioaccumulation, if there's
27 something bad in, in our case, the plankton, and
28 the middle of the chain eats and then the top of
29 the chain eats, it can magnify and the top of the
30 food chain will have a higher concentration of
31 that particular substance than the plankton?
- 32 A Those that eat, for example, let's say a hake
33 eating lots and lots of sockeye smolts and there's
34 something in the sockeye smolts, that will
35 accumulate, if it's that type of chemical or agent
36 in the hake a lot more, yes.
- 37 Q But the key factor in bioaccumulation is you have
38 to eat something bad. It doesn't apply unless
39 that plankton -- there's something bad in the
40 plankton?
- 41 A There's that association, absolutely.
- 42 Q Okay. And you'd agree that PDBEs (sic) are in the
43 benthic layer or at the bottom of the ocean?
- 44 A I'd agree that the works supported by Johannessen
45 and the work I supported yesterday by deBruyn and
46 a number of others indicate that the wastewater
47 treatment plants and where those products are

1 mostly deposited are deposited into the sludge
2 first, and the interface to that are organisms
3 that usually eat or use the interface of the
4 sediments much more readily, yes.
5 Q Okay. So then, for sockeye salmon, because
6 they're eating in the top 15 metres of water, this
7 issue of PDBEs (sic) is really not an issue?
8 A I ranked it low because of the duration that they
9 use these environments and the potential that the
10 food webs and the trophic levels that they're
11 interacting with in eating have a lower exposure
12 to those sorts of chemicals than others might.
13 Q Okay. And you'd agree that sockeye, smolts and
14 fry are not at the top of the food chain as well,
15 they're in the middle of the food chain?
16 A In the ocean they're certainly a lower planktivore
17 they're called, so a plankton-eating fish; they're
18 not a piscivore, in many cases, although they do
19 eat small larval fish and other fish.
20 Q Okay. And adult sockeye are not feeding when
21 they're doing their up-migration as adults to the
22 Fraser River?
23 A Dr. Hinch could probably talk of that topic a lot
24 more than I can, but my understanding is very soon
25 upon entry into the Strait of Georgia they're
26 stopping to feed -- stopping feeding.
27 Q Okay. So then it's fair to say sockeye are not in
28 contact with PDBEs (sic) in a significant way; is
29 that a fair statement?
30 A Through their food. I'm not sure, in terms of
31 gills and water quality and straight digestion and
32 uptake of water, I don't know how that influences
33 them and how they're going to accumulate those
34 sorts of materials.
35 Q Okay. And PDBEs (sic) do not have the same types
36 of environmental effects as PCBs or other
37 persistent or organic compounds?
38 A That I do not know, and my assumption is, from the
39 general literature that we were speaking about
40 yesterday, was that, in fact, they are considered
41 one of those legacy types of contaminants and are
42 consistent with those other ones.
43 Q Okay. And the decision to ban PDBEs (sic) would
44 be a federal decision; is that correct?
45 A I do not --
46 MR. McGOWAN: I'm not sure the witness is well suited
47 to respond to that.

1 A I do not know that answer.
2 MS. CALLAN: Okay.
3 Q Are you aware of any studies which indicate what a
4 lethal dose of PDBE (sic) is on sockeye salmon?
5 A I do not know.
6 Q Okay. And if we could turn to Exhibit 741, which
7 is Tab 2 of Canada's documents, and if you could
8 turn to page 6, and look at Table 2, would you
9 confirm that this table, the column called total
10 PDB -- PBDE at surface outlines the measurements
11 of PDBEs (sic) at various areas in the area, or
12 are you aware of that or not?
13 A I think, and this is my interpretation, so I'm not
14 sure of the answer yet, but I will take the
15 interpretation, again not being an expert in this,
16 looking simply at these results, that this
17 associates directly to Figure 6 on the next page,
18 and in that figure, if I were to look at that, and
19 I'm not sure if these things are relating or not,
20 but is certainly the concentrations and the
21 approach that they're using here suggests that the
22 distribution of PCBs and other bits in the
23 environment, PBDEs, certainly show a distribution
24 much more around the outfall of, in this case,
25 Iona than other areas, and that was GVRD-3.
26 Q And just moving onto my last subject, and there's
27 only a couple questions left, would you agree that
28 sockeye do not spawn in gravel in the mainstream
29 of the Fraser River?
30 A Maps 3, particularly, in our results suggest that
31 all the literature and all the information that we
32 searched indicate that they're not using those
33 areas as preferred spawning areas --
34 Q Okay.
35 A -- in the main stem of the Fraser River --
36 Q Okay.
37 A -- below Hope.
38 Q Now, with the exception of the Harrison River,
39 sockeye generally only use the gravel reach as a
40 migration corridor?
41 A The gravel reach as defined within the Fraser
42 River?
43 Q That's right.
44 A I wouldn't say "only" use it that way. As we
45 spoke yesterday with Federal counsel, they
46 certainly have a portion of their life history as
47 river-type fish that use a lot of those areas.

Mark Johannes

Cross-exam by Ms. Callan (BCPROV)

Cross-exam by Mr. Leadem (CONSERV)

1 Q Okay.

2 A And again, we -- not talking about what portion of
3 the Fraser population is using it, but they are
4 using those as for river-type -- Harrison river-
5 type sockeye, river-type sockeye throughout the
6 Fraser as sensitive environments.

7 Q Okay. So you'd agree that of all of the sockeye
8 stocks the Harrison River sockeye stock is the
9 stock that's most likely to be affected by gravel
10 mining?

11 A I would make that general assumption by the types
12 of habitats that they use, but I do not know if
13 that association is possible right now.

14 Q Okay. All right. And you would agree, though,
15 that the Harrison River sockeye are increasing in
16 number?

17 A That was not under debate, but I didn't understand
18 the characteristics or the information that Dr.
19 Beemish had used in his paper to make that
20 clarification. I think Dr. Peterman will be much
21 better suited to speak of that issue.

22 MS. CALLAN: Okay, thank you. Those are my questions.

23 MR. LEADEM: Leadem, initial T., appearing as counsel
24 for the Conservation Coalition.

25

26 CROSS-EXAMINATION BY MR. LEADEM:

27

28 Q Just picking up on that last theme, Dr. Johannes,
29 the gravel removal, as I understand it from the
30 mainstream, or the main stem of the Fraser could
31 actually create fish traps; are you aware of that
32 phenomenon?

33 A Not really, no.

34 Q All right. You're not competent to answer that
35 one way or another, are you?

36 A I wouldn't say I'm not competent to answer that,
37 I'm saying that I don't have the information in
38 front of me that gives the annual characteristics
39 of those areas and what a fish trap might involve
40 in terms of how it works, hydraulically or
41 functionally.

42 Q Okay. I want to examine with you your -- the
43 statement of work which I find in Exhibit 735,
44 beginning at page 94. And I wanted to make sure I
45 understood some of the objectives and the scope of
46 the work that you had undertaken. Under the
47 Objectives 2.1, you were to describe historical

- 1 trends and development activities in the Lower
2 Fraser and the Strait of Georgia that impact
3 sockeye habitats. And you chose to limit your
4 work to a period of time from 1990 to 2010; is
5 that right?
- 6 A I'm sorry, you're talking about page 94?
7 Q Page 94.
8 A Objective 2.1?
9 Q Yes.
10 A Yes, I defined the area of interest during the
11 first statement, which is the background, during
12 the period of decline, which is defined as the
13 1990 period onwards.
14 Q Okay. And that's why you chose that timeframe
15 reference; is that correct?
16 A I did not choose that timeframe.
17 Q Under the scope of the work, you were to prepare a
18 habitat inventory for sockeye habitats in the
19 Lower River below Hope and identify human
20 activities that could affect them, that was 3.1;
21 is that correct?
22 A Yes.
23 Q You did not quantify any habitat inventory for
24 sockeye in the Lower River, did you?
25 A The scope of work for 3.1 suggests I prepare a
26 habitat inventory.
27 Q Right.
28 A Which is what we have done.
29 Q All right. Did you quantify that in terms of
30 square metres or how large that was?
31 A As we spoke about yesterday in fairly extensive
32 detail within my methodological section I
33 indicated the limitations for trying to do that --
34 Q Right.
35 A -- sort of approach.
36 Q So the answer is, "No," you did not -- you weren't
37 able to quantify it because of the limitations of
38 the work and the time available to you; is that
39 fair to say?
40 A I would say it's more the limitations of the
41 information.
42 Q You also, in your evidence, I think to Commission
43 Counsel yesterday, suggested that because you did
44 not have data associated with water flow that you
45 left water flow out of the calculations for
46 sockeye habitat; is that -- do I have that right,
47 or have I got that completely wrong?

- 1 A I think we were speaking about water extraction --
- 2 Q Yes.
- 3 A -- and the use of water licensing information to
- 4 define what water extraction was about.
- 5 Q Right. You would agree with me, would you not,
- 6 that water flow and how much water is actually in
- 7 the Fraser River is actually very critical in
- 8 terms of the habitat of salmon, and particularly
- 9 sockeye salmon, would you not?
- 10 A Agreed, yes.
- 11 Q Now, under 3.2 scope of work, you were to analyze
- 12 the Fraser estuary development, including the
- 13 impacts of larger vessels, for example, oil
- 14 tankers. Did you actually look at oil tankers
- 15 going into the Fraser and the risks of oil spills
- 16 and what effect that may or may not have upon
- 17 sockeye?
- 18 A At the populate -- to answer that question, yes,
- 19 we looked at the shipping census information over
- 20 the period that we've examined here, and within
- 21 that characteristic there is tonnage for bulk
- 22 cargo, other cargos, including oil. From those
- 23 characteristics, what we wanted to do was, again,
- 24 look at indicators over time, a time period which
- 25 had suggestive issues associated with declines and
- 26 were there changes dramatically in terms of the
- 27 characteristics of shipping volumes and movements
- 28 and tonnage and those characteristics.
- 29 So within that, certainly we looked at that.
- 30 In terms of individual incidents of oil spills or
- 31 those issues, again, we were looking at the
- 32 population level characteristics of the sockeye
- 33 population.
- 34 Q Yes, I understand that you come down to the
- 35 population level. You don't deal, for example, in
- 36 your report with biodiversity or conservation
- 37 units, you're primarily concerned with the overall
- 38 population of the sockeye, are you not?
- 39 A I'm afraid spatially and the characteristics of
- 40 the study area certainly moved us in that area
- 41 fairly quickly.
- 42 Q Getting back to the oil tanker question that I had
- 43 earlier, did you try to parse out from your
- 44 tonnage of shipping what portion of that was
- 45 attributable to tankers that had oil in their
- 46 hulls?
- 47 A Within the shipping census information from Stats

1 Canada, that information is available.

2 Q All right. Do you know what portion of that it
3 is? Could I find that somewhere in your report?

4 A No.

5 Q All right. The proposed expansion of Vancouver
6 Airport Fuel Delivery Project, I did not see that
7 anywhere in the confines of your report. You are
8 aware, of course, that the Vancouver Airport Fuel
9 Facilities Corporation is proposing a large
10 superport for jet fuel to go to YVR; are you not?

11 A I'm aware of that project, yes.

12 Q All right.

13 A But as scope 3.2 indicates, that suggests, for
14 example, oil tankers and expansions, and the key
15 part about the Vancouver Airport Fuel Delivery
16 Project and any of those projects that are
17 happening now, are -- there's two parts to that,
18 and the emphasis, again, is as we could achieve
19 this, we wanted to first and foremost make sure we
20 understood the characteristics of the sockeye
21 habitat use - sockeye habitat use - where they're
22 using those environments, where they were, where
23 they weren't, and that certainly framed the
24 conditions of looking at these other components
25 and these indicators. It was an independent
26 process, of course.

27 Now, the larger projects that are happening
28 immediately right now, again, the implications of
29 those projects and their development on declining
30 sockeye population, those are not direct
31 associations, or at least I wouldn't infer that as
32 being a direct association.

33 Q So the short answer is that you chose not to
34 include information about the Vancouver Airport
35 Fuel Delivery Project that's currently underway in
36 Richmond; is that right?

37 A I didn't say that. What I did say was, we looked
38 at major projects and the major projects
39 inventory.

40 Q Yes.

41 A And if this project is under review or under
42 construction or development, or if it has a large
43 environmental assessment certificate, then it
44 would have been included in our data system.

45 Q And was this particular one included in your data
46 system, to your knowledge?

47 A It's not at the stage, yet, to be included in that

1 system, yes.

2 Q It goes on to suggest, as an example, that you
3 look at development of bridges and damage from
4 dredging. Did you, for example, take into
5 consideration the twinning of the Port Mann
6 Bridge, the Gateway Project?

7 A Yes.

8 Q Okay. And Golder and Associates is actually
9 involved in that project, is it not?

10 A We have been, in the past, involved in that
11 project through the environmental assessment
12 certificate process, yes.

13 Q Now, under 3.3 on the next page, page 95, you were
14 to describe human activities in the Strait of
15 Georgia and identify those which could negatively
16 affect sockeye salmon, and you were to evaluate
17 coastal zone protection zones related to shoreline
18 development, shipping, aquaculture and oil tanker
19 traffic.

20 I did not find anywhere in your report any
21 reference to aquaculture. Did you actually choose
22 not to include that, or what happened with the
23 aquaculture aspect of that?

24 A Aquaculture was not included in this report. It's
25 being included in another report.

26 Q All right. So you were advised not to include it,
27 but yet, you would agree with me, that because
28 aquaculture is a possible -- may possibly negative
29 effect sockeye salmon, it ought to have been
30 included in a review of Fraser River sockeye
31 habitat in Lower Fraser and the Strait of Georgia,
32 because there are aquaculture facilities in the
33 Strait of Georgia, are there not?

34 A Similarly, there's log-storing facilities in the
35 Lower Fraser, and that was included in another
36 chapter, also. So I believe the Commission is
37 handling that through a series of technical
38 reports. They thought the topic material that we
39 were covering in chapter 12 was fairly sufficient.

40 Q Now, a number of persons had commentary with
41 respect to reviewing your report, well, three,
42 actually, and I'm going to take you there, next.
43 The first one is Dr. Rick Routledge, and he's a
44 professor at Simon Fraser University; is that
45 correct?

46 A Yes.

47 Q And he's an expert within the field of habitat,

1 salmonid habitat, is he not? You would recognize
2 him as an expert in that field?

3 A Yes.

4 Q If I can ask you to turn to page 100 of his
5 report, under item 1, he says the following:

6
7 The authors have paid insufficient attention
8 to the quality of the evidence that they have
9 pulled together. At times, this is critically
10 important. For example, much may be learned
11 through a careful examination of the rearing
12 and migration biology of the river-type
13 sockeye salmon that spawn in the Harrison
14 River whose 2009 returns were remarkably
15 strong in comparison to other populations in
16 the Fraser watershed.

17
18 It goes on to say:

19
20 The report cites three references to support
21 their conclusions regarding rearing habitat,
22 use of the Fraser estuary and near-shore
23 marine area, and subsequent marine migration
24 routes. Some of the supporting information
25 is remarkably weak,

26
27 and it goes on to site an example from the west
28 coast of Vancouver Island:

29
30 The authors need to probe for such weaknesses
31 and provide a more careful assessment of the
32 basis for the conclusions that they draw.

33
34 And your response to that is contained at page
35 101, where you say that you've:

36
37 ...attempted to address the concerns listed
38 above and revised and augmented the attached
39 report where possible.

40
41 Now, the difficulty I have with trying to follow
42 the exchange you may have had with Dr. Routledge
43 is that I don't have the draft, so I'll have to
44 assume that when you received this that you
45 somehow incorporated Dr. Routledge's comments
46 within your report; is that right? Is that what

1 happened?

2 A Oh, absolutely. The draft that Dr. Routledge has
3 was a very early draft and we, certainly within
4 the review process that was embedded here, wanted
5 to make sure that they had an opportunity to
6 comment early so that we could do a lot of
7 revisions to the report.

8 Q Going back to his comment where he says the report
9 cites three references, are there more than three
10 references in your report to support your
11 conclusions regarding rearing habitat, use of the
12 Fraser estuary, and near-shore marine area? We
13 talked about two of them yesterday, the Harper and
14 Quigley studies.

15 A Those are not the references that he's citing.
16 It's the Levings, Whitehouse reference --

17 Q Right.

18 A -- those characteristics. Harper has another
19 reference up the Fraser. So yes, we certainly
20 went through to make sure that we explored and
21 looked at as many references as possible.

22 The inference of that discussion is
23 associated with, again, what -- how many fish
24 might use estuaries in areas of the Lower Fraser,
25 and I indicated we did not do -- it's certainly
26 never going to be a comprehensive bibliography or
27 review of the literature, but it was exhaustive.
28 And so in that context, if there are only three or
29 four or five or 10 references available for that
30 area, we certainly have found them and used them
31 to the best of our ability.

32 Our inability to comment further on the
33 characteristics of that habitat use is the
34 deficiencies of the information that exists, and
35 certainly one of the recommendations that we make
36 is in support of additional work there.

37 Q Yesterday, when you were discussing the Harper and
38 Quigley studies with Commission Counsel, you also
39 referred to another report by a fellow called
40 Kistritz; is that right?

41 A Yes.

42 Q And that's something that you relied upon in
43 arriving at your conclusion that there's been an
44 actual net gain of habitat over the -- from major
45 projects over the last 20 years or so. So that
46 was one of your sources, was it not?

47 A It was a discussion item that we used to talk

1 about the characteristics and evolution of
2 compensating for habitat losses, and we provided
3 the example of Kistritz where he only looked at
4 information until 1993.

5 Q Yes.

6 A And that information, itself, suggested that, as
7 we go on to strongly point out, the learning curve
8 associated with restoration and compensation of
9 the technological advances made in it is very
10 important when characterizing what's a gained
11 habitat and what might not be a gained habitat.
12 That's the way we've used that reference.

13 Q I want to show you that reference that you have in
14 your -- that you included in your bibliography and
15 you referred to it in cross-examination, and it's
16 a report by Mr. Kistritz, entitled, Habitat
17 Compensation, Restoration and Creation in the
18 Fraser River Estuary. The subtitle on it, Are We
19 Achieving a No-Net-Loss of Fish Habitat? You're
20 familiar with that paper, are you?

21 A Yes.

22 Q If I can ask you to turn to the abstract, which is
23 at page vii of that paper, I don't think I need to
24 take you through the whole report, but there's a
25 couple things I want to draw to your attention.
26 It references the fact that:

27
28 ...all compensation, restoration and creation
29 projects undertaken in the Fraser River
30 Estuary between 1983 and 1993.

31
32 So that's the time reference, so it only includes
33 three years of the time reference that you,
34 yourself, used; is that right?

35 A Yes. It's still indicative of a program, though,
36 for habitat compensation.

37 Q Right. It goes on to say that:

38
39 Data were summarized to determine whether we
40 are achieving a no net loss (NNL) of
41 subtidal, mudflat, marsh and riparian habitat
42 in connection with habitat compensation.
43 With respect to subtidal habitat, the [No Net
44 Loss] Principle has generally not been
45 applied. Nevertheless, 90 [hectares] of
46 shallow subtidal, mudflat/sandflat has been
47 lost on Roberts Bank.

1 That's the big superport on Roberts Bank, located
2 near Tsawwassen; is that right?

3 A It doesn't indicate where that habitat loss is in
4 the abstract here, but Roberts Bank does include
5 the ferry terminal and T2.

6 Q Right. And then it goes on to say:

7
8 The [No Net Loss] Principle has not been
9 achieved for mud/sandflat habitat because a
10 number of compensation projects did not
11 adequately replace lost mudflat.
12 Compensation for the loss of brackish-
13 freshwater marsh has been successfully
14 achieved; however, a net deficit exists for
15 saltmarsh. The NNL Principle has not been
16 achieved for riparian habitat.

17
18 And then it goes on to say:

19
20 Several habitat restoration and creation
21 projects have resulted in a net gain of
22 habitat in the Estuary.

23
24 And you read that report and that report formed
25 the basis of some of the conclusions, or the
26 conclusion that you reached in your report
27 regarding a net gain; is that correct?

28 A No.

29 Q All right. Why is it not correct?

30 A It is not correct because this report very clearly
31 shows that - that doesn't very clearly show - it
32 certainly shows that the real evolution of this
33 part of habitat sciences, in terms of how you
34 plant an eelgrass, how you plant a saltgrass, how
35 you actually make it grow, the whole technology of
36 doing these things effectively was evolving,
37 strongly evolving. And as we indicate in the
38 report, '86 was the time when the no net loss
39 habitat policy was imposed and the characteristics
40 of that, again, was the evolution of that
41 development as a management tool and approach.

42 So what Kistritz shows is this learning and
43 the realization that we are losing habitats and
44 we're trying to do something about it. It may not
45 be as effective as we so chose or wish, but it's
46 developing and evolving, and that's a good first
47 piece of work.

1 It led nicely to the audit that Harper and
2 Quigley, Quigley and Harper developed, and it
3 certainly leads to the final recommendations and
4 the recommendations that they're providing here on
5 the abstract. You know, those -- most of them are
6 fairly consistent and useful right now, even many
7 years later. They show that we still need to work
8 on this and we still need to keep our thumb on
9 that issue and evolve the practice of doing this
10 well and understanding what we're losing and what
11 we're gaining and how we're doing it.

12 Q Well, I agree that we need to keep on top of it.
13 Before I leave this report, I wanted to just
14 reference that there's a two to one ratio that
15 usually is applied for marsh habitat, in other
16 words, that if you take away one hectare of marsh
17 habitat you usually should replace it with two
18 hectares; are you familiar with that concept?

19 A That's the general concept that's applied. Two to
20 one is the gain to loss.

21 Q Right. If I could ask you to look at xii of the
22 Kistritz paper, under the heading, Habitat
23 Compensation, the second full paragraph, under
24 that heading begins:

25
26 The typical habitat replacement formula
27 applied by DFO to the Fraser River estuary is
28 as follows:

29
30 For marsh habitat, a ratio of 2:1 is
31 requested such that twice the area of the
32 same type of habitat is replaced as is
33 lost or damaged. This replacement ratio
34 takes into account the time period
35 required for a productive marsh to
36 develop and the risk involved in
37 successfully achieving this goal.

38
39 So you're aware, of course, that there's a lag
40 period between the time that you actually have the
41 new habitat and the time that it becomes effective
42 as habitat for a fish, correct?

43 A Yes.

44 Q And the risk involved in successfully achieving
45 this goal is that when you're putting in new
46 habitat a lot of it tends to get washed away,
47 particularly if you're dealing with the Fraser

1 River with high water flows; is that right?

2 A There's lots of consequences that may not work --
3 allow it to work. One of them is the lag time.
4 One of them is events or conditions that are
5 unknown or undeveloped. It takes a bit of time
6 for these things to effectively operate. And
7 again, this was developed and based in a period
8 where the science was just evolving.

9 We do a number of references in the text that
10 talk about some of those characteristics and some
11 of those issues. One of the approaches that tries
12 to and attempts to deal with this lag time, as you
13 expressed it, is something called habitat banking,
14 and we've seen the Port Metro Vancouver and Metro
15 Vancouver, itself, and in association with the
16 Fraser River Estuary Management Plan, attempting
17 to bank habitats in all sorts of ways.

18 Now, whether all of this is effective and
19 whether this provides a ratio of gains to losses
20 that is meaningful and useful is unknown to me at
21 this time.

22 Q Did you take into consideration, in your
23 calculation of habitat as being a net gain, this
24 marsh ratio habitat of two to one; did you factor
25 that into your consideration?

26 A No, not generally, no.

27 MR. LEADEM: Might this be marked as the next exhibit,
28 please?

29 THE REGISTRAR: Exhibit Number 743.

30

31 EXHIBIT 743: Habitat Compensation,
32 Restoration and Creation in the Fraser River
33 Estuary, dated 1996, by Ron Kistriz

34

35 MR. LEADEM:

36 Q Going back to the commentaries and the critiques
37 of your reviewers, I want to go to another one,
38 and staying with Dr. Routledge's comments and the
39 same page, number 2, he says, under 2:

40

41 The authors conclude that the sojourn time
42 and migration route of juvenile sockeye
43 salmon in the Strait of Georgia depend on
44 food availability and such physical
45 conditions as salinity and temperature. They
46 also produce interesting and potentially
47 valuable maps. However, the methodology

1 leading to these maps is inadequately
2 explained. Furthermore, they do not appear
3 to have investigated the potential for any
4 time trends in these phenomena that might
5 explain the decline in Fraser River sockeye
6 returns leading up to 2009. (I am also not
7 confident that their assertion regarding the
8 importance of copepods in the diet of
9 juvenile Fraser sockeye salmon is accurate.)

10
11 Did you address that bracketed portion in your
12 report or are you sticking to your hypothesis that
13 the copepods - I can't recall the species that you
14 looked at specifically that seemed to be the
15 predominant species that sockeye like - did you
16 take that -- factor that into consideration, or
17 are you still of the view that it's the copepod
18 production that's responsible for the decline?

19 A Copepods are certainly one indicator, but we went
20 to a lot of detail to explore this issue, and I
21 appreciate Dr. Routledge's comments there a lot.
22 He's a very smart fellow. What we did to address
23 that was we went back to food availability and
24 food preference literature and Preikshot - I have
25 a copy of the paper with me right here - does an
26 exploration of sockeye habitats, or sockeye food
27 preferences and use of prey items. And so we
28 characterized that that much better than we had
29 originally, in part to -- the draft that we
30 submitted was incomplete in some of those areas,
31 and so we were still requesting information and
32 data to actually explore that issue and trend.
33 And so that evolved to be Map 12-B and 12-C that
34 explore that whole kind of characteristic of food
35 and use and abundance of characteristics.

36 In the end, after requests for information,
37 what I was able to get was, in fact, euphausiids
38 in a variety of copepods, a number of species
39 involved in both calanoid and cyclopoid copepods
40 that are in the environment that might be used.

41 Q Did you not do work, yourself, on copepods and
42 food production with salmon? I can't recall if
43 that was the topic of one of your studies.

44 A I don't think it was illustrated in my C.V., but I
45 have actually done some of that work.

46 Q All right. Now, going to the commentary of Dr.
47 Reynolds, which follows on the commentary of Dr.

1 Routledge, you know Dr. Reynolds is a professor,
2 also, at Simon Fraser University, correct?

3 A Yes.

4 Q And you would recognize him as an expert with
5 respect to salmonid species and this particular
6 area of salmonid habitat analysis?

7 A I'm not sure about that.

8 Q Okay. If I can ask you to turn to page 103 of
9 your report, under item 5, it says:

10
11 Long-term monitoring of habitat quality,
12 based on a statistically defensible and
13 biologically meaningful design,
14

15 would help to improve our understanding of this
16 subject area; you would agree with that comment,
17 would you not?

18 A I've made that assertion yesterday and, yes, we've
19 spoken about that already.

20 Q Okay.

21 Q All right. And then under 6, it says:

22
23 Please provide any specific comments for the
24 authors.
25

26 And then:

27
28 See below comments.
29

30 And I don't find any of those comments anywhere in
31 this report. Did you, in fact, include them, or
32 was this inadvertence on your part not to include
33 these comments on your report?

34 A I actually don't recall the extent of Dr.
35 Reynolds' review. His was fairly simple in terms
36 of what was there. I obviously have not added a
37 comment in there.

38 Q All right. I'm just wondering whether Dr.
39 Reynolds made some specific comments that assisted
40 you in the preparation of your report or not, and
41 it's unclear, from my reading of this, whether
42 we're missing some information or whether it was
43 provided to you and just through inadvertence was
44 not included in your report. Can you answer me
45 that?

46 A All I can answer -- well, I don't know the exact
47 details of that, it certainly was a couple months

1 ago, but what I will say was Dr. Reynolds, as
2 along with Dr. Routledge, as along with Dr.
3 Rosenau's comments, were very helpful, very, very
4 helpful indeed. And it certainly was a forcing -
5 not forcing - asking our team to be much more
6 contentious or much more descriptive in terms of
7 how we develop the effects and the effects-like
8 approach.

9 Q Finally, if I can look at the -- well, before I
10 leave that, I just have a little niggling
11 question. Presumably, you have a work file that
12 you used in providing this report consisting of
13 drafts and so forth, and I'm wondering if I could
14 ask you to go back to that work file, and if there
15 are, in fact, some specific comments that Dr.
16 Reynolds provided to you that we don't have, I'm
17 going to ask you to provide those to Commission
18 Counsel and eventually we can have them. Can you
19 do that?

20 A I don't know the answer to that. I don't know
21 what -- I haven't got my (indiscernible -
22 overlapping speakers) --

23 MR. LEADEM: Mr. Commissioner, I'll just leave it as an
24 outstanding request. I'm sure your counsel will
25 address it.

26 Q Finally, we have Dr. Rosenau's comments, and
27 you're familiar with Dr. Rosenau's work, are you
28 not?

29 A Some of Dr. Rosenau's work, yes.

30 Q Right. And you would consider him to be qualified
31 to be able to comment upon some of the drafts of
32 your report; is that correct?

33 A He provided insightful comments, yes.

34 Q And he's qualified to do so, right?

35 A I believe so.

36 Q Now, he says, in number 1 under his comments:

37
38 The primary strength of the report is the
39 comprehensiveness of the issues. The primary
40 weakness of this report is that because the
41 authors covered so many topics, and over such
42 a wide geographic area, they are dealt with
43 in a relatively superficial way.

44
45 I'm just going to stop there. Would you agree
46 that because there was such a big piece of pie
47 that you had in front of you that you couldn't,

1 within the timeframe that you had available to
2 you, that you had to deal with it in a relatively
3 superficial way; you could not do this in any
4 great depth, could you?

5 A No, I don't actually agree with that because,
6 again, as the comment says, as you've raised them,
7 and as some of the reviewers have commented, they
8 wish to see certain components. For example, the
9 Harrison River-type sockeye is an ongoing kind of
10 component and issue, and yes, it would have been
11 nice to explore that as a case study example
12 specific to the report, but again, we're dealing
13 with broad scale population-level issues. And
14 this resolves itself as looking at that same broad
15 level scale indicators that associate back to that
16 and that larger issue.

17 I think it -- well, I'm an author on this, I
18 think we've done a reasonable to good job at doing
19 that.

20 Q But isn't one of the weaknesses of this report is
21 that you've approached it from a population level,
22 and if we go down to the conservation unit level
23 to take into consideration biodiversity, that you
24 really don't address the conservation units that
25 are in the Lower Fraser, such as Weaver Creek,
26 such as Cultus Lake, right? You don't examine
27 those specifically, do you, in the confines of
28 your report?

29 A The other reports in the series do do that, and
30 no, that wasn't necessary to deal with that. We
31 we're dealing with habitat issues, the association
32 with habitat. And so the specific focus on
33 Cultus, Harrison, others, those were explored in
34 terms of their use of habitats and their
35 characteristics for sure. In terms of the
36 distinction and definition of a conservation unit,
37 its characteristics over time, as you see from the
38 technical report series, there will be authors
39 that deal with the specific nature of the
40 freshwater issues, the migratory issues of the
41 adults, the population dynamics, all those
42 characteristics.

43 So this one set into a place where we were
44 looking at broad-level indicators and their
45 association and influence.

46 Q But you could have taken a look at Cultus Lake
47 sockeye, for example, and looked at the habitat

- 1 requirements of the Cultus Lake sockeye, which are
2 well known and well documented, you could have
3 looked at Weaver Creek sockeye, and you could have
4 documented that as well, right?
- 5 A Which we, in fact, did in Appendix 3. So starting
6 at page 107, Harrison Lake and Lillooet spawning
7 habitats. Page 108, Harrison Lake, Lillooet
8 rearing habitats. Page 109, Chilliwack/Cultus
9 Lake spawning habitats. Page 109,
10 Chilliwack/Cultus Lake rearing habitats.
- 11 Q Right. And I find that descriptive indication to
12 be valuable, but you don't, then, relay that
13 description of the habitat that's used for some of
14 these creeks and some of these conservation units
15 and relate to what human interaction might be
16 impinging upon that habitat, do you?
- 17 A Yes, we do, and that's why it's characterized
18 within Table 2 in every single one of those table
19 components as Lower Fraser watersheds, and that
20 characterizes that study area portion as we spoke
21 about with federal counsel yesterday.
- 22 Q Well, you don't quantify it to the extent that we
23 can't take any -- we can't apply a numerical
24 analysis to the quantification of this habitat.
25 We don't know how large it is, what area it
26 encompasses, do we?
- 27 A As we have, you and I, have just spoken about,
28 quantifying the extent of that habitat is very
29 difficult at this time.
- 30 Q All right. And you've been involved in that
31 specifically with respect to Strategy 2 of the
32 Wild Salmon Policy, have you not?
- 33 A Specifically with Harrison Lake and the Fraser
34 River stocks, no.
- 35 Q So your work is more generally applied throughout
36 the province, rather than specifically focused
37 upon Lower Fraser?
- 38 A This component study that's outlined in my C.V.
39 was a small study to develop a monitoring strategy
40 for habitats under the Wild Salmon Policy.
- 41 MR. LEADEM: Mr. Commissioner, I note the time. I'm
42 almost finished, and if you would like a break, I
43 would like a break --
- 44 THE COMMISSIONER: That's fine.
- 45 MR. LEADEM: -- if I could do that.
- 46 MR. REGISTRAR: The hearing will now recess for 15
47 minutes.

1 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
2 (PROCEEDINGS RECONVENED)
3

4 THE REGISTRAR: The hearing is now resumed.
5

6 CROSS-EXAMINATION BY MR. LEADEM, continuing:
7

8 Q Prior to the break, Dr. Johannes, we had been
9 looking at the reviewer's comments from Dr.
10 Rosenau, and I want to go back to number 1 that we
11 have been examining together. After the
12 commentary about being "dealt with in relatively
13 superficial way", Dr. Rosenau says:
14

15 ...some of the things that may have happened
16 earlier on, say in the 1970s or 1980s, and
17 had a lag effect (say, the large-scale sand
18 removal in the lower river, forest harvest in
19 the 1970s and 80's, which may have not
20 impacted the spawning streams for two
21 decades) are not dealt with because the
22 things that they really looked at were
23 from...1990 and onwards.
24

25 Does Dr. Rosenau have a valid point there, that
26 there's a lag effect from some of these things
27 that happened earlier in the time period that
28 might have impinged upon the time period that you
29 focused upon?

30 A That would inevitably result in the change in the
31 numbers and the characteristics of the adults
32 returning to spawn. Ultimately, that's the
33 indicator. That's what so wonderful about an
34 anadromous species like salmon is they're on their
35 cycle of generations that renew each time. So
36 they are a complete demonstration of their
37 environment.

38 Q Right. So, in other words, even though you looked
39 at 1990 to 2010, because that was the period of
40 decline, perhaps we should have cast our sight
41 further back to see if there were any of these lag
42 effects from over-forestry or from sand removal or
43 things of that nature. Isn't that what Dr.
44 Rosenau was saying there?

45 A He's suggesting that that might be important in
46 this case because we're looking at, again,
47 population level indicators and response of the

1 population to those indicators.

2 I don't know if I agree with that approach.
3 That would suggest, then, we need to go back pre-
4 settlement. We need to go back to when Hell's
5 Gate -- and the collapse in the Fraser in terms of
6 the landslide, all those sorts of issues. Again,
7 it's point of reference and point of focus. The
8 point of focus in terms of what is associated or
9 effect or interactive with the decline of the
10 Fraser salmon stocks, and that's reflective of the
11 last twenty years.

12 Q But Dr. Rosenau isn't saying, well, let's go back
13 to the Hell's Gate slide in 1914 or whenever it
14 may have occurred. He's saying let's go back a
15 decade or so earlier and see if there's some
16 residual lag effects that have happened to the
17 habitat there to cause this decline from 1990
18 onwards. Isn't that what he's saying?

19 A I don't agree with that, just those periods, then.

20 Q All right.

21 A I mean, because the lower Fraser diking happened
22 till the 1950s, and when you read Dr. Rosenau's
23 commentary here, he deals with understanding about
24 diking issues, and so those -- absolutely, they
25 have consequences. There's no doubt about there's
26 loss of habitats all over the place. But are
27 those necessarily associated with declines in
28 salmon over the last two decades for Fraser
29 sockeye? That's the question.

30 Q Under item 6, Dr. Rosenau says:

31
32 Comments are provided in an attached appendix
33 to these review pages. They are
34 comprehensive and detailed.
35

36 Once again, I looked for those comments from Dr.
37 Rosenau in this report; I could not find any, so I
38 will leave that also with you, and with Commission
39 counsel, as an outstanding request that, in due
40 course, those detailed comments from Dr. Rosenau
41 be provided to counsel at this inquiry.

42 MR. LEADEM: It looks as though we might even have them
43 in hand, Mr. Commissioner.

44 MR. MCGOWAN: Yes, Mr. Commissioner, I've just been
45 handed what I understand to be a complete set of
46 the comments provided by both Drs. Reynolds and
47 Rosenau and I'll provide a copy to my friend

1 forthwith.

2 MR. LEADEM: All right. I'm content to move on and if
3 necessary, anything that might arise I can perhaps
4 ask one of my learned colleagues, Mr. Rosenbloom
5 or Mr. Harvey or Ms. Brown to address those in
6 their questions.

7 Q Now, I wanted to go back to basically what I hear
8 you saying in terms of the synthesis of your
9 report is that if you examine the population of
10 sockeye with the emphasis on the population aspect
11 of sockeye, and if you examine just the effect
12 from major projects - with the emphasis on "major"
13 - in the last twenty years, that it's your opinion
14 that there's been demonstrated a net gain of
15 habitat for that population of sockeye. Is that
16 -- do I have that right?

17 A I cannot demonstrate a net gain in habitats by the
18 information that I have right now. As I suggested
19 before, all indications support both some
20 learning, in terms of restoration/compensation
21 works, the regulatory structure that imposed on
22 these kind of projects, and other projects like
23 them, and the association to our general
24 understanding of the habitats, and the habitats
25 that sockeye use suggests that there hasn't been a
26 change. I can't assert one way t'other (sic)
27 whether it's been a gain or a loss.

28 Q Okay. So there are a couple of assumptions in
29 your conjecture there, and one is that the
30 regulatory structure, of which you are aware, the
31 assumption is that it's been applied correctly and
32 that it's being applied efficaciously; in other
33 words, it's working. Isn't that one of the
34 assumptions that you make?

35 A Yes, it is. And the recommendations that I move
36 onto suggest, associated with that assumption, are
37 fairly focused in terms of how you address that
38 assumption.

39 Q And similarly with respect to the learning curve,
40 as you call it -- and I would agree with you that
41 in terms of the learning curve, in terms of
42 project development, we're much further ahead on
43 an evolutionary sense now than we were back prior
44 to 1990. Companies that are proposing
45 developments in the lower Fraser are much more
46 knowledgeable about environmental effects of their
47 projects. That's, in effect, what you're saying,

1 correct?

2 A I think there's been an evolution. I think it can
3 be improved.

4 Q Right. And one has to then consistently monitor
5 those projects to ensure that developers are in
6 fact doing a proper and right job when they say
7 that they're restoring habitat. Isn't that a fair
8 statement as well?

9 A It is one of the recommendations that I support,
10 and the framework for which you do that, the
11 transparency of the information and the approach
12 used, the science that is used to set standards
13 and guidelines, the approach, all those things, as
14 we well know, can be improved.

15 Q And in reality, it's really not possible for us to
16 say, either you or me or anyone, that there's been
17 a net gain of habitat for sockeye or a net loss of
18 habitat for sockeye because we really don't know
19 the numbers. We really don't have the core data
20 that we need to be able to definitively say, yes,
21 there's been a net gain or, no, there has not been
22 a net gain or, yes, there's been a net loss. We
23 don't have those numbers, do we? We're really
24 operating a little bit in the dark, aren't we?

25 A That's a statistical quantitative analysis on a
26 qualitative approach, which is why we use the
27 framework methodologically which is a causality
28 association, not necessarily a statistical
29 regressive cause/effect association. The
30 association of effects assessment is well
31 documented in terms of its approach and use and
32 attempt to define those issues.

33 As Dr. Reynolds points out in his review,
34 they were looking for more support of that kind of
35 approach, and we certainly, within the final
36 stages of the report from the very early draft to
37 this stage, worked very hard to make sure that we
38 had at least a qualitative approach that was
39 defensible in terms of expressing those opinions
40 on this issue.

41 Is it perfect? Absolutely not. Do we wish
42 to have those quantitative measures to say, you
43 know, numbers of houses with impervious surfaces
44 associated with habitats on one axis and the
45 other, and see some sort of correlative or
46 regressive relationship? Absolutely. That's
47 where we'd love to go.

Mark Johannes

Cross-exam by Mr. Leadem (CONSERV)

Cross-exam by Mr. Rosenbloom (GILLFSC)

1 Q Right. But we can't get there, so we use the
2 qualitative approach and it really comes down to
3 the qualitative approach as defined by your
4 subjective opinion; isn't that right?

5 A Professional opinion.

6 Q Yes.

7 A And that of 20 others in my team.

8 MR. LEADEM: All right. Those are --

9 A And the experience in this area.

10 MR. LEADEM: -- my questions.

11

12 CROSS-EXAMINATION BY MR. ROSENBLOOM:

13

14 Q Dr. Johannes, my name is Don Rosenbloom. I appear
15 on behalf of Area D Gillnet and Area B Seiner.

16 Sir, I'm in the unenviable position, unlike
17 the counsel that have preceded me, that I don't
18 have a group of scientists behind me to advise me
19 and so please be patient as I deliver questions to
20 you that you may find somewhat simplistic and
21 naïve, but I do wish answers to it.

22 Firstly, you'll recall at the time that you
23 were being introduced to this inquiry and your
24 expertise was being solicited from you for
25 purposes of finding that you're an expert in this
26 area, you'll recall an exchange that I had with
27 you in cross-examination on your expertise related
28 to the involvement of yourself and those within
29 your staff that participated in this study
30 regarding the 70 or so major projects that are the
31 subject of focus within your Report 12. Have you
32 had an opportunity overnight to provide me with
33 some information?

34 A Yes.

35 Q And I wonder if you would be kind enough to do so,
36 firstly, in respect to your own involvement in any
37 of those projects, and secondarily, in respect to
38 those other co-authors and staff that have
39 participated in Report 12 preparation.

40 A The first characteristic that I, again, want to
41 emphasize to you was that there are, within -- not
42 just authorship, but the characteristics of the
43 report and the staff that were involved from my
44 team, some 22 people that were involved in this
45 process, various specialists and professionals in
46 different areas.

47 From the authorship of Lee Nikl, myself,

1 Roxanne Scott and Rob Hoogendoorn, what we
2 participated in terms of those major projects,
3 which were just one of the indicators we used
4 within this study, initially we started with a set
5 of 341 projects, which were developed as the
6 methodological statements in the report say, from
7 a series of inventories that exist in the
8 registries of projects and project developments.

9 Major projects are defined in terms of their
10 characteristics of how they're developed and what
11 suite triggers a regulatory review and so on. So
12 I won't get into the characterization and
13 classification of what major projects are and are
14 not.

15 So our database started off with 341 projects
16 from 1862 to present. Of those 341 projects, the
17 authors have been involved in 19 of those
18 projects, so that's 5.6 percent. Of the projects
19 beyond 1990, there were 74 projects in fact, and
20 we were involved in five of those projects. Of
21 those 74 projects, 43 were outlined in maps 16 as
22 being associated with our overlap
23 spatially/temporally with sockeye habitat use. Of
24 74 projects beyond 1990, the five projects that I
25 outlined, I personally have been involved with -
26 I'll do that count right now - one, two -- two.

27 Q Thank you. And in respect to your company
28 generally and staff within your company, is the
29 extent of your participation in those projects the
30 same as what you have just provided to us, or
31 would it be a more extensive participation?

32 A Oh, I won't be able to represent that at all.
33 Golder is a company of -- a privately-owned
34 company of 7,000 people or more. We have 3,000 in
35 Canada, so it's a large company.

36 Q I meant in the B.C. office.

37 A In the B.C. office we have 400 people. I can't
38 represent exactly what they're doing or what
39 they're not doing. But what I will point out is
40 we're professionals. We certainly have very
41 defined standards and ethics in what we do.

42 My own background is one where I've been in
43 and out of working with First Nations and
44 communities, in salmon groups, in research and
45 federal government and industry. So, you know,
46 what we tried to use was the experience and the
47 professionalism associated with that approach.

1 Back to Golder now, Golder is a ground
2 engineering specialty group. We are not a large
3 group like other companies with a full suite of
4 services. We work on geotechnical issues, we work
5 on archaeology issues, we work on groundwater
6 issues, and we work on environmental issues.

7 The two projects that I mentioned for myself,
8 those two projects were from an environmental
9 review process and what that means is I can help a
10 client or proponent put together the details for
11 the environmental review, but I in no means
12 participate in the review of the project and the
13 information and it's in fact certification if it
14 goes to that very point. In many cases, the two
15 projects I outlined, one of them I was a
16 discipline lead for a very specific topic within
17 it, and if you were to articulate what my
18 involvement in the larger project would be, it was
19 probably less than .1 percent. So that's how it
20 breaks out, if that's helpful.

21 Q Thank you for your efforts overnight in responding
22 to that question. I want to turn briefly to the
23 terms of reference and Mr. Leadem made reference
24 to it. As I understand it, the decision to use as
25 a window of review for this study, 1990 to 2010,
26 is not embodied or embedded within the terms of
27 reference, but I assume a dialogue you had with
28 Dr. Levy and the staff of the Commission in
29 limiting your study accordingly; is that
30 correct?

31 A Let me just review --

32 Q Thank you.

33 A -- just a section here in my report.

34 Q By all means.

35 MR. LUNN: Mr. Rosenbloom, do you have a page number
36 for that in the report?

37 MR. ROSENBLOOM: Pardon me?

38 MR. LUNN: A page number for what you were --

39 MR. ROSENBLOOM: A page number for the terms of
40 reference?

41 MR. LUNN: Are you talking about the --

42 MR. ROSENBLOOM: I'm talking about the terms of
43 reference and asking the witness --

44 MR. MCGOWAN: Ninety-four, Mr. Lunn.

45 MR. LUNN: Thank you.

46 A The only reason I am referencing any of the words
47 that I've written here in reference to the "Scope

1 of Work" was the definition of the interim Cohen
2 Commission reporting and the definition of the
3 real purpose of - and focus - of the report --
4 reports. Within that context, the very, very
5 first statement in the "Scope of Work" indicates
6 the decline in sockeye, and so that was the
7 reference that we used.

8 MR. ROSENBLROOM:

9 Q So was it at your discretion that you chose this
10 window of 20 years?

11 A I'm not exactly sure how that developed or
12 evolved, but certainly all the information to the
13 decline, and I represent that in the introduction
14 of the report, about how that was phrased in this
15 time period.

16 Q Yes. I'm more interested in fact in another
17 aspect of your window, and that relates to your
18 focus on major projects. I wondered if you would
19 explain to me how you evolved in your study to
20 limit your focus to the major projects, and I'll
21 get into the definition of major projects in a few
22 minutes. Is that embodied within the terms of
23 reference?

24 A As examples, yes. Within the scope of how we were
25 to approach the term or the scope of work, not
26 explicitly, no.

27 Q Could I ask you how you then came about exercising
28 your discretion and limiting your focus to major
29 projects?

30 A I didn't limit my focus to major projects. It
31 certainly was one of the aspects. Again, it has
32 to do with what data is available to do some sort
33 of review of -- and the association to. If we get
34 too medium-sized or small or urban-based municipal
35 projects, there is no comprehensive set of
36 information that allows us to review those types
37 of projects in the same process.

38 Q Right.

39 A From a major projects point of view, as I was
40 indicating methodologically, there are a couple of
41 good sophisticated data systems, databases around
42 that. We could easily articulate the issues. As
43 the "Scope of Work" suggests, they pointed to a
44 couple of specific features or specific projects
45 that are considered to be major projects and
46 within that data system. So it wasn't for ease,
47 it was for focus and --

1 Q I'm intrigued by your response - in the early part
2 of your response to me just now - that you did not
3 limit yourself to a focus of major projects. Did
4 I misinterpret your remarks a moment ago?

5 A No. There are ten other indicators.

6 Q Okay. How am I to take, or how are we to take in
7 your report, at page 52 - Mr. Lunn will put it up
8 - under the heading "Development Activity and
9 Impacts on Sockeye Habitat", page 52, second
10 paragraph, second line.

11
12 However, the goal of this component of our
13 review is more narrowly focused on
14 identifying whether or not major project
15 development has led to decreased sockeye
16 salmon production through changes in habitats
17 over the period of 1990 to 2010.

18
19 How am I or how are we to interpret that if it
20 isn't that you have - and I'm not faulting you in
21 the slightest for any of this - but that you have,
22 as I read this, chosen by discretion to limit your
23 analysis to major projects.

24 A Oh, I don't think that's a fair statement. As
25 Commission counsel interviewed me yesterday and we
26 went through the details of the report
27 methodologically and its structure, as we
28 recognized this habitat protection strategy
29 starting on page 50 is the fifth section.

30 What we honestly tried to do - and we can be
31 faulted in this approach, there's no doubt about
32 it - but what we tried to honestly do was when we
33 were to address coastal zone protection
34 strategies, areas of issues, we embedded that into
35 a larger section. It wasn't appropriate to review
36 the federal regulatory structure or the provincial
37 regulatory structure within those strategies, so
38 we thought we'd examine another approach. So this
39 is a bit of a case study as best as we could
40 reflect on what was available to us in the
41 literature and the information.

42 So this section 5 more directly relates to
43 those projects, perception right or wrong, which
44 might have major impacts on the environment and
45 are considered major projects.

46 The other part about this that's also very
47 intriguing is -- and we make comment on this a

1 number of times -- it's easy to focus in on those
2 individual issues and, fair enough, you're right,
3 major projects was a focus, it's a point source
4 issue. It's an individual little focused piece.
5 Being able to look at the non-point sources, the
6 diffuse issues, that's not really easily possible,
7 and that's why we actually in fact reference all
8 those recommendations at the end because that's
9 the association that's also important.

10 But this was used as a vignette, as a case
11 study that allowed us to explore some of the
12 issues. So those results described here are in
13 fact four major projects, yes.

14 Q Yes. And, in fact, I may be awfully naïve in
15 suggesting this to you, but couldn't, for example,
16 ten more minor or less major projects cumulatively
17 have a greater impact than one major project in
18 terms of habitat issues?

19 A We tried to address that, and that's a fair
20 question. That's why you see some of these
21 inserts here, some of the project definitions that
22 we developed and in fact you see in Table 3.
23 Table 3 is not a representation of major projects.
24 It's in fact a representation of restoration
25 projects.

26 The others are representation of examples of
27 compensation and restorative actions, and so if we
28 turn to the example of the Pitt River Intertidal
29 Wetland in Port Coquitlam --

30 Q And let's get this on the screen, or maybe we
31 already do.

32 A Page 52.

33 Q Yes, thank you.

34 A In that example - it's a little vignette - that
35 shows a very interesting kind of approach in a
36 tidal flats area where it wets -- it wets itself,
37 pardon me - with tide, it has a higher elevation
38 of water and when the tide is out, it has a lower
39 elevation of water with floodwater events and
40 freshet from the Fraser or the Pitt. It comes up
41 in water, and so it provides this environment. It
42 does actually actively, in terms of a restorative,
43 compensative -- no, I'll call it in terms of a
44 habitat, it does a couple of things.

45 One, it opened up the dike in the area. Two,
46 it allowed off-channel habitat that hadn't existed
47 before. Three, it probably is accessible to a

1 number of salmonids. I wouldn't necessarily
2 suggest that it had the greatest of use of
3 importance to sockeye, but it is being used by
4 them.

5 Then it relates back to a series of projects
6 honestly where it acted as compensation. That's
7 from my understanding of the area and the region.
8 I don't know if it's defined anywhere, but it
9 acted as compensation for, I believe, a road
10 expansion somewhere in Port Coquitlam, the Coast
11 Meridian overpass and some other areas that it
12 acted as.

13 Q Sorry, are you suggesting that this particular
14 project, the Pitt River Intertidal Wetland Project
15 was not a major project?

16 A Oh, no. This is not a major project.

17 Q I see. All right. Now, I want to --

18 A A major project is a major development project.

19 Q All right. I want to drill down now to some
20 really basic stuff. Firstly, when you were
21 analyzing or focusing on major projects, these are
22 presumably projects where the proponent has come
23 forward to DFO, has applied for review by DFO, has
24 applied for HAD under s. 35/36 of the **Act**.
25 Presumably all of these major projects that are
26 under review and part of the foundation of your
27 report have had that history, correct?

28 A They may have had that history, yes.

29 Q What do --

30 A In some cases, no. And so your inference is
31 actually three levels down within the review
32 process and it usually comes at the very end.
33 What the database and the information that are
34 associated with major projects, as they are
35 regulatorily defined - if I use that term
36 correctly, I'm not sure - there are
37 characteristics with under -- and we make that
38 explicit reference to the **Canadian Environmental**
39 **Assessment Act**, the **B.C. Environmental Assessment**
40 **Act** and their regulatory triggers within it.

41 And so DFO is potentially one of those
42 responsible authorities within that characteristic
43 that allow that, and it doesn't necessarily need
44 to result in a s. 35(1) request and a 35(2)
45 authorization --

46 Q But in all cases, the proponent has come forward
47 and notified the DFO of an initiative being taken

1 and where there might be habitat consequences.
2 That, presumably, is common to all of the major
3 projects that you focused on in this report,
4 correct?

5 A No. No, that's not the major projects list. And
6 so there's very -- not a simple way to actually
7 define that, believe it or not. These are
8 projects that are listed within the CEAA or the
9 BCEAA registry. These are also projects that have
10 a significant feature on the landscape.

11 In the case of the 1862 project that I spoke
12 about, it's the Crofton sawmill. It was developed
13 back then. We put it in the database because it
14 was a large articulated industry project-related
15 feature that was on the environment. Similarly,
16 Elk Falls Pulp & Paper, it was developed well
17 before the 1990 period, has had a history on and
18 off, and so we also put that into the database.

19 So our comprehensive review, as we do
20 describe it, was -- and exhaustive review, not
21 comprehensive -- was intended to find those
22 projects that are large initiatives, those large
23 development issues that have association. They
24 didn't necessarily, in some cases, need to trigger
25 a DFO response. Certainly the 1862 project, it
26 was unsequential so -- inconsequential.

27 Q Let me tell you where I'm going with this, Dr.
28 Johannes. I don't know if you've had an
29 opportunity to review the transcripts of testimony
30 given by Mr. Nelson before this inquiry relating
31 to enforcement issues and s. 35/36 prosecutions
32 and so on. Do you have a recollection of reading
33 that portion of transcript recently --

34 A I have not read --

35 Q -- about two weeks ago? Well, what is gleaned
36 from that in the way of testimony is the
37 following: Please correct me if, in any way, you
38 have a different understanding of it.

39 Currently, the regime here in Canada in
40 respect to habitat compliance is a regime wherein
41 a party comes forward voluntarily to notify DFO of
42 a project or an initiative that might affect
43 habitat; that it's voluntary, you agree with that?

44 A I don't think I'm actually an authority to talk
45 about that.

46 Q All right.

47 A I only have my own project experiences.

1 Q Okay. And but you would agree that you are well
2 aware there are numerous initiatives, individual
3 actions, projects, that take place where DFO is
4 not notified and where there's -- and/or there's
5 no application for a HAD.

6 A I'm not sure if I do know that.

7 Q All right.

8 A From the characteristics of large projects, it's
9 absolutely, given the regulatory approaches now,
10 it's impossible to develop a transit centre
11 without making sure it goes through the entire
12 regulatory review.

13 Q Absolutely. But the purpose of my cross-
14 examination with you is to bring out from you what
15 is under the radar, and what is under the radar
16 has not been analyzed by you in drawing the
17 conclusions that are a part of your report here.
18 So I just want to first document what is under the
19 radar. Would you -- you've already agree minor --
20 sorry, less than major projects, as you defined
21 it, were not a part of your review, correct?

22 A You'll have to rephrase that, sorry.

23 Q That you limited your review to major projects,
24 and that there obviously are other projects that
25 are within human endeavour, day in and day out
26 over the last 20 years, that were not part of your
27 review.

28 A In section 5, we looked at major projects.

29 Q Yes.

30 A Throughout the report, as we indicated, the
31 indicators develop ten different measures for
32 metrics that allow us to talk about different
33 components of the environment.

34 Within the characteristics that you're
35 speaking about, I have no reference point or
36 ability to -- I can speculate, but I certainly
37 haven't got a firm understanding of the continuum,
38 which it is. Regulatory approaches wane and
39 become more effective over time. I'm not sure
40 which projects were identified and which projects
41 aren't, over time.

42 I certainly know within the reference that I
43 worked in, which is both internationally and
44 locally, the awareness, the understanding, the
45 development of issues associated with damage to
46 environment is changing. My hope, my honest
47 passionate caring hope is that it will continue to

1 evolve to be effective.

2 Now, whether there is, as some of the other
3 testimonies have provided, a continued loss of
4 fish habitats across the country, again, I would
5 only speculate on that. But it's -- you know, my
6 hope is that we're going to do better.

7 Q Yeah, I appreciate that, but would you agree with
8 me that to the extent that the Commission
9 concludes, at the end of the day, that there is a
10 great deal of habitat degradation going on that is
11 not known to DFO and is under the radar, that that
12 would undermine the conclusions that you arrive at
13 in terms of your Report 12?

14 A The recommendation that -- again, I don't know if
15 I agree with much of that. But what I do suggest
16 is an alternative to that is that when you look at
17 the Harper/Quigley audit, which is the last one
18 that was published, known kind of information, and
19 you look at the characteristics of their reported
20 projects within there, you can certainly, if I
21 knew the identity of all those projects, could
22 tell you that information.

23 Because what's obviously represented in that
24 information is some small projects and some big
25 projects. So what files did they audit? Which
26 ones didn't they? What does that information look
27 like? What evaluation standards and program did
28 they use to evaluate that? So I don't know. But
29 it would be worthwhile to ask and look at that
30 question.

31 So under the radar, stuff happens. People do
32 stuff all the time. My hope is that there's
33 something happening to respond to it. The reality
34 of it, yeah, some of it escapes and that's --

35 Q To the extent that there is a weak enforcement of
36 the s. 35 and 36 of the **Fisheries Act**, obviously
37 the public interest is exposed in terms of habitat
38 degradation.

39 A I'm not sure if that's a question, but --

40 Q It is a question I ask.

41 A I can speculate on that, and I'll go back to a
42 colleague of mine's report. Dr. Riddell wrote a
43 report on the central coast salmon stocks and
44 stock status and it was interesting, it's the
45 statistic I've seen in terms of the number of
46 records of inventory on streams over time. I
47 believe he goes back to the salmon escapement data

1 system and progressively looks at the numbers of
2 inventory observations conducted by fisheries
3 officers and biologists over time.

4 What it means is how much attention is an
5 agency spending on a specific stream or place?
6 What Dr. Riddell shows in his stock status report
7 - and this is published out of the Pacific
8 Fisheries Resource Conservation Council - is, over
9 time there has been a diminishing number of visits
10 to individual streams and areas.

11 So speculation suggests that if that's
12 happening in areas, I suspect that that's
13 happening in lots of places. I don't know how
14 many staff there are supporting ongoing for
15 agencies like MOE and DFO and others that support,
16 on the ground, reviews of habitat scenarios. So I
17 don't know how frequently they've been there.

18 But certainly the indications by Dr.
19 Riddell's kind of work suggests that there's been
20 diminishing attention.

21 Q Would you be surprised if I told you that there's
22 evidence before this inquiry that I believe last
23 year - or it might have been 2009 - there was only
24 one conviction in Pacific region under s. 35 and
25 36 of the **Act**?

26 A Would I be surprised?

27 Q Yes.

28 A I'm neither surprised or not surprised. I'm
29 slightly ashamed to know that we're not supporting
30 necessarily a good habitat review and quality that
31 way.

32 Q I want to focus on the choice of the 70 projects
33 or 74 projects. I haven't grasped how you
34 delineated those 74. Do I gather that they were
35 retrieved or were obtained through the Harper &
36 Quigley study?

37 A No. As I pointed out earlier, methodologically we
38 went to a series of databases and it had nothing
39 to do with Harper & Quigley at all. The 74 is a
40 data-sorting associated with time, and it comes
41 from a project base of 341 projects, in fact.

42 Q And you filtered down to 74, correct?

43 A Yes.

44 Q And you --

45 A And it subsequently filtered down to 43.

46 Q Yeah, and you -- how did you exercise your
47 discretion in applying this filter? What were the

1 characteristics of the 74 that weren't in the
2 larger numbers?

3 A Oh, as I said, it was a straight filter, and the
4 filter was time.

5 Q Straight what?

6 A Filter. 1990.

7 Q I see. And so you took all of the projects from
8 that database for that period of the 20 years.

9 A Map H shows all 341 projects, and map -- map 16B
10 shows 43 projects. There's a delineation and an
11 association through that progression. So it shows
12 a retrieval and a synthesis of information and, as
13 I expressed to the Commissioner yesterday, the
14 process of a filter in terms of likely
15 interactions and approaches is a mechanism of
16 filter with the application as we talked about in
17 terms of professional opinion and expression of
18 those issues.

19 So in terms of section 5 in the report, I
20 mean, we speak about major project issues, and
21 again, I'll refer you to some of the comments that
22 we spoke with counsel this morning and yesterday
23 about which was our understanding of the review
24 process, taking it through a review process and
25 seeing in your hands something like - something
26 like - an environmental assessment certificate for
27 a major project, and I have that in my hand.
28 Within that environmental assessment certificate,
29 granted either by the province or the federal
30 government, is a series of commitments. Within
31 those commitments, which are legal commitments to
32 a proponent to build and operate a project, within
33 those commitments will be explicit items that
34 define habitat loss and gain.

35 Now, that said, that's the vision, that's the
36 objective. Whether that is achieved is the whole
37 issue that you're in fact, in part, addressing
38 with me, and I don't know the answer to that. I
39 don't know the audit compliance components of
40 that, that issue. I'd like to see that
41 information, but I don't have it.

42 Q As you look at those 40-some projects, can I
43 assume all these projects, the data you're looking
44 at is data prepared by the proponent through their
45 scientific consultants and not compliance reports
46 from DFO?

47 A Yes.

1 Q And do you not consider that significant in terms
2 of the weight that should be given to your
3 analysis of those projects?

4 A No.

5 Q Why?

6 A The final outcome of the review of a major project
7 is in fact a regulatory review, and the regulatory
8 review is not directed just by the science of a
9 proponent. The review is directed by - I'm sorry
10 if I sound like I'm lecturing - but I'll just
11 explain this very briefly, my apologies.

12 To get the project into a place where it is
13 reviewable, it needs something called Application
14 Information Requirements. Those requirements are
15 defined by a working group of
16 federal/provincial/municipal agency staff that are
17 involved in the process. They define the scope of
18 the study and they review the scope of the study
19 in the end and the results of that study - and the
20 results of that study - and provide their
21 recommendations to both federal and provincial
22 agencies, in fact to say whether this is something
23 that is suitable to go forward.

24 Q I totally, totally appreciate that, Doctor.
25 Forgive me, I appreciate what you're saying. But
26 to cut you short for a moment, my question is *ex*
27 *post facto* the certification of the project. What
28 Harper & Quidley (sic) speak about in their
29 studies, are they not -- is partly the issue of
30 monitoring and compliance of the projects as they
31 are certified or approved or authorized for the
32 proponent. Do you agree with what I have read in
33 Harper & Quidley (sic) that there is a huge
34 shortcoming in a lack of data in terms of
35 monitoring and compliance what has been approved?

36 A On a general scale and scope, absolutely. In
37 terms of the characteristics of my own experiences
38 in projects, I would say given the professionalism
39 with which I hopefully conduct myself and all my
40 staff, you know, we have our own compliance and
41 audits that are standards in approach. My hope is
42 that most of my colleagues in the biological
43 world, environmental world, would adhere to some
44 sort of level of professionalism and, in some
45 cases, that happens. That comes with some of that
46 evolution of experience that I spoke about.

47 MR. ROSENBLoom: In the Harper & Quidley (sic) study,

1 and it is the first one, 2005, and it's Exhibit
2 667, Mr. Lunn, if you could have it before us.
3 Q Because time is so short, I'll just go to the
4 abstract. In that abstract in the second column,
5 two-thirds of the way down, the authors say [as
6 read]:
7

8 Determinations of [No Net Loss] NNL could
9 only be made for 17 authorizations as a
10 result of poor proponent compliance with
11 monitoring requirements and the qualitative
12 assessment procedures used by the monitoring
13 programs.
14

15 And it goes on from there.

16 This, of course, is a national study, but
17 surely the comments of these authors would apply
18 generally to the Pacific region and to the
19 projects that we're dealing with out here. Are we
20 any different than the rest of Canada?

21 A I think we are, and that's why we focused in on
22 the marsh marine estuary, salt marshes and some of
23 those areas, because that's, in part, where much
24 of the experience has been gained over time. This
25 is part of your lag-like comment. We in fact have
26 just better experience in developing those
27 restorative compensative habitat techniques. The
28 science is just a little better.

29 Q Well, are you saying --

30 A Now, the devil is still in the details, because
31 applying across lake areas and stream areas and
32 everywhere else, it's apples and oranges, frankly.
33 Again, this comes about (sic) what is the
34 implications to sockeye habitat use?

35 Q So a limitation to an analysis of net - NNL - is
36 surely to the extent of the quality of information
37 that you have in respect to after certification or
38 authorization of the project and the extent of the
39 monitoring compliance.

40 A Yes.

41 Q Yes. And you have no reason to believe Pacific
42 region of DFO has been any more -- has any greater
43 capacity to do this work than anywhere else in
44 Canada?

45 A That's a very fun question, I have to say. It's
46 fun because of a lot of things. As someone that's
47 lived in this area for 21 years, coming from

1 Ontario, and someone that's lived in Europe and
2 see the sort of consequence of those environments
3 where we develop and urbanize, in my little
4 vignette, experience shows a little place in the
5 Alps where, in a little Austrian village, there's
6 a tiny stream area where there's probably 150
7 rainbow trout living in there. They're an exotic
8 species there. But that, after, you know, 1000
9 years or more of history and development, that is
10 a revered tiny little stream that they're working
11 so hard to develop -- or -- compensation habitat
12 restored in areas.

13 You know where that experience comes from?
14 It comes from the Pacific coast, the northwest
15 coast. So the stewardship issues, the local
16 ecological knowledge, the traditional ecological
17 knowledge combined together into something that's
18 -- you don't find anywhere else in the world,
19 frankly, is salmon stewardship.

20 I belong to salmon stewardship groups
21 independent of my own science activities, because
22 that's a fundamental part of my personal being.
23 But these groups and the evolution of the ideas
24 and the importance of salmon as an icon and a
25 habitat, has allowed this part of the world to
26 think much more about habitats and salmon and
27 issues, and all the restoration river guidelines
28 for colder water species, much of them are
29 developed from California through B.C. to Alaska.
30 Frankly, we do do a better job at that sort of
31 stuff out here. The science is here.

32 There is only one course, Creswell (sic) --
33 there's now two courses in Canada, but
34 historically there's only been one course on
35 aquatic restoration. There's one at BCIT now, but
36 that is taught in the University of Victoria and
37 now BCIT. It's not happening anywhere else.

38 Q But all I'm suggesting to you, sir, is the
39 capacity of DFO in terms of compliance, monitoring
40 compliance of habitat out here in the Pacific
41 region is no greater than the capacity of DFO in
42 the rest of Canada. Do you not agree with that?

43 A I don't know the numbers of staff that are
44 involved in this, but I do know that they may have
45 or should have an easier ability to understand
46 what's being done right and wrong, given the state
47 of the science in some of this are.

- 1 Q All right. I'm running out of time. Up-river
2 pollutants, pulp mills up in the Prince George
3 area, this was completely off your radar in terms
4 of your study?
- 5 A Yes. Mr. McDonald (phonetic) will cover that, I
6 hope.
- 7 Q Then counsel, Commission counsel, in their
8 examination in chief drew out of you that your
9 study, in terms of No Net Loss, was really an
10 analysis of square metre, square hectares of what
11 we call aerial analysis as opposed to the quality
12 and reproductivity of a replaced habitat. Do you
13 agree with that?
- 14 A I agree that most of the metric that's been used
15 is the square metres-like unit rather than
16 quality.
- 17 Q And you would agree with me that in a perfect
18 world, had you more time, had you had better data
19 to work with, that the more important or more
20 critical database for you would be to analyze the
21 quality and productivity of the replaced habitat
22 as opposed to whether one square metre got
23 replaced with another square metre or two square
24 metres.
- 25 A There's a breadth of study done by a Dr. Minns in
26 Ontario who looked at productive capacity, and he
27 was a DFO scientist. I suspect some of these are
28 referenced in Harper & Quigley. But Dr. Minns
29 spent a long time thinking about productive
30 capacity and the characteristics of that.
31 Dr. Jamieson here on the west coast, also
32 with DFO, has talked about sensitive habitats and
33 critical habitat capacities. So those are coming
34 onto the radar. They're not evolved as well as I
35 would certainly like to see, and they are critical
36 aspects to understanding habitats, for sure.
- 37 Q And that's a shortcoming that we're all left with
38 at this inquiry because you, as an expert, aren't
39 able to bring that to the knowledge of this
40 Commission for all these reasons.
- 41 A I did it in a qualitative fashion. That's why
42 there's yellow, greens and reds in maps -- in maps
43 3, 4 and 15, various colourations that are
44 indicative of not necessarily our assessment of
45 the habitat itself, but of the habitat use by
46 animals. So the habitat uses are indicators of
47 quality. It may not be the characteristic of

1 optimal habitat that they're looking for, but
2 behaviourally, as we spoke about a little bit
3 earlier, these are smart animals. They seek out
4 the best habitats that they can, given the
5 opportunities.

6 Q Very briefly, I just want to speak to two quotes
7 in your paper, page 63 of Report 12, second
8 paragraph. If you would explain this to me,
9 second sentence of that second paragraph.

10
11 More broadly, a hypothesis that the declines
12 in Fraser River sockeye production are the
13 result of major (or even moderate and minor)
14 project development is not supported by the
15 likely net gains in habitat that have
16 occurred over the period of review.

17
18 The net gains of habitat you're speaking
19 about is in the context of major projects,
20 correct?

21 A The net gains I'm speaking about in this context
22 is that same assumption that you and I spoke about
23 earlier which is - you're absolutely right with
24 your discussion about audit and compliance - a
25 leap of faith. When it gets to a point where
26 there is a s. 335(2) authorization on a HAD, there
27 is an understanding that there is a habitat
28 balance identified and articulated on the project.
29 That balance, whether it's a minor project or a
30 major project, is adhered to. Now, whether that's
31 compliant in the end and audited for compliance, I
32 am not sure of the answer.

33 Q And again, completely off the radar are the non-
34 reviewed projects, the projects that don't have
35 HADs, the projects where DFO didn't receive
36 notification, correct? Obviously.

37 A I don't know if there's any inventory of what that
38 looks like, but I would imagine or at least
39 speculate that that might be possible.

40 Q So as you say in this quote that I just cited:

41
42 ...are the result of major (or even moderate
43 [or] and minor)...

44
45 Your moderate and minor projects were not reviewed
46 by your team in respect to this project, correct?

47 A Yes.

1 Q Yes, I'm correct?

2 A Yes, you are.

3 Q Thank you. I just have one other quote to deal
4 with, page 58 of your report, where you, again at
5 page 58 down at the bottom, you say, right at the
6 last four lines:

7

8 More broadly, a hypothesis that the decline
9 in the Fraser River sockeye adult returns
10 (Figure 8) are the result of the development
11 of major projects is not supported by the
12 likely net gains in habitat [and] that have
13 occurred during the review of major projects
14 following implementation of the "no net loss"
15 policy.

16

17 Again, same theme as my previous questions to you,
18 what we take from that is you are coming to this
19 Commission and you're saying the hypothesis that
20 there is some relationship between major project
21 habitat initiatives and No Net Loss and the
22 decline of the sockeye, there is no relationship
23 there.

24 That is your hypothesis, but you have not
25 come forward, for reasons we've understood, to say
26 that there is not necessarily a correlation
27 between the decline of sockeye and habitat
28 degradation of all kinds of projects that may be
29 other than major projects.

30 A When we started this discussion with Commission
31 counsel yesterday, one of the methodological steps
32 that we made was, very first, looking at the
33 habitats used by sockeye. The second part of that
34 was represented in section 3 where we took those
35 major projects and made the association, both time
36 and space, to those sockeye habitats. The
37 third/fourth approach is what you're speaking
38 about now.

39 During the third approach, methodologically,
40 we said let's say we're developing the Port Mann
41 Bridge. What association does that have with
42 sockeye habitat use? We made that association and
43 did our qualitative analysis on that association.
44 So in those cases, what we say at the population
45 level, more broadly, the expression of these types
46 of projects are not reflective of a change that we
47 see from a certain period of time in the numbers

Mark Johannes

Cross-exam by Mr. Rosenbloom (GILLFSC)

Cross-exam by Mr. Harvey (TWCTUFA)

1 of sockeye.

2 Q These type of projects meaning major projects.

3 A Meaning the major projects that we certainly
4 looked at in this case. We have no knowledge of
5 all the projects.

6 MR. ROSENBLOOM: I thank you very much for your
7 answers. Thank you.

8 MR. MCGOWAN: Mr. Commissioner, Mr. Harvey is next.
9 Perhaps he could get started, or perhaps we could
10 come back a few minutes before 2:00.

11 THE COMMISSIONER: Yes, why don't we adjourn now and
12 we'll try to get underway about five to 2:00.
13 Thank you.

14 MR. MCGOWAN: Yes. Now, Mr. Commissioner, just before
15 you go, Mr. Harvey has alerted me to the fact that
16 there is a chart in one of the upcoming projects
17 he wants to ask this witness about. He has not
18 given notice of that. It seems to be a fairly
19 straightforward question he wishes to ask. I
20 would suggest that the witness be permitted to
21 look at the document over the lunch break.

22 THE COMMISSIONER: Very well. Thank you.

23 THE REGISTRAR: The hearing is now adjourned until
24 1:55.

25

26 (PROCEEDINGS ADJOURNED FOR NOON RECESS)

27 (PROCEEDINGS RECONVENED)

28

29 THE REGISTRAR: Order. The hearing is now resumed.

30 MR. HARVEY: Dr. Johannes, it's Chris Harvey, appearing
31 for the Area G Trollers and the United Fishermen
32 and Allied Workers' Union.

33

34 CROSS-EXAMINATION BY MR. HARVEY:

35

36 Q I'd like to start with something you said in your
37 evidence yesterday, which, if my note is right, is
38 this, that there is in your opinion no loss of
39 productive capacity in the Lower Fraser, in your
40 opinion; is that correct?

41 A I'm afraid I don't remember the context
42 necessarily for that statement. Within the
43 characteristics of what we might talk about as
44 sockeye habitat and habitat use, that might be
45 applicable there.

46 Q Yes. But did you mean to include the Cultus Lake
47 system in that conclusion?

- 1 A I was speaking at a very population level area and
2 as we spoke about this morning, not necessarily
3 getting into some of the details associated with
4 individual races or sub-stocks of the populations
5 of sockeye.
- 6 Q Yes, all right. Because I think we'll hear later
7 in this week in the Peterman report that it's very
8 likely that the Cultus had its productivity
9 affected by human activities. You're not meaning
10 to contradict that in any way?
- 11 A No, I'm not. In fact, there are reports that we
12 cite, Schubert, Neil Schubert's work on Cultus,
13 and some of the recovery strategy for Cultus Lake
14 sockeye itself that speak about some of the
15 spawning habitats and some of the other areas as
16 being influenced.
- 17 Q Yes. All right. But in the Strait of Georgia,
18 you have determined that the zooplankton levels
19 have been declining; is that correct?
- 20 A I have not determined that. I have just used
21 results from others to suggest that that's a trend
22 that seems to be happening.
- 23 Q I see. So does it flow from that that it's
24 important that the sockeye smolts entering the
25 Strait of Georgia are well-nourished before they
26 get there?
- 27 A That is a characteristic that's fairly important
28 in some cases. Historically there has been a
29 regression relationship that's been supported that
30 says the size of the smolt leaving the environment
31 is associated with its survival, and that's well-
32 referenced, Ricker work and some others. It's not
33 as supported by that issue as we might think, and
34 over the last two decades or so there's been a
35 variety of evidence that in part supports that and
36 in part suggests that there is other factors that
37 are considerably more important.
- 38 Q But it seems obvious to me, and correct me if I'm
39 wrong, that as the challenges rise in the Strait
40 of Georgia for sockeye, it becomes more important
41 that they are full size and healthy with good
42 energy levels before they reach the Strait of
43 Georgia.
- 44 A I would think that that would be one contributing
45 factor, but it may not in some years be the most
46 important characteristic.
- 47 Q All right. But you have noted a downward change

1 in the quality and abundance of the preferred food
2 in the Strait of Georgia; is that right?

3 A I wasn't able to well-articulate the
4 characteristics of all the food, preferred food
5 items. And as I was indicating yesterday and this
6 morning, the information that I was able to
7 receive from requests was the information provided
8 in Map 12C, which showed copepods of various sizes
9 and euphausiids, and it showed some indication of
10 downward trending approach.

11 Q Yes.

12 A Although there is considerable variation there.

13 Q Now, there was a convenient chart in Project 8
14 that you were shown just before the lunch break
15 that I'd like to look at. It's in the Project 8
16 report, which we haven't reached yet, at page 73.
17 Mr. Lunn, could we have that.

18 MR. LUNN: I'm just pulling it up at the moment.

19 MR. HARVEY:

20 Q This is a figure which shows the number of
21 effective spawners in a graph. It reads:

22
23 Number of effective spawners of Fraser River
24 sockeye salmon. The number of spawners has
25 increased in recent decades. Has this led to
26 more, but smaller smolts in poor feeding
27 condition that will be more susceptible to
28 predation?

29
30 And on the next page, page 74, the authors make
31 the point that is a consequence. This is the
32 paragraph beginning:

33
34 Related to this is that the Fraser River
35 sockeye may have become the unwitting victims
36 of their own success. As shown in Figure 36,
37 the numbers of effective spawners of Fraser
38 River sockeye salmon have increased in recent
39 decades, which in turn may have increased
40 intraspecific competition and exposed smolts
41 to higher rates of mortality. Previous
42 studies have shown that increased sockeye fry
43 abundance leads to lower average weight of
44 smolts, and that the total biomass of a smolt
45 year class may decrease with increasing
46 number of spawners... The implication of this
47 is that increased escapement may lead to

1 higher predation mortality in the ocean where
2 there is a strong positive correlation
3 between size and survival...
4

5 Did you wish to comment on that in any way? Does
6 that qualify anything you've said?

7 A I have lots to say about this, and lots of other
8 topics, apparently. This is an interesting
9 discussion. This is one of the fundamental
10 impetuses for the development of the Salmon
11 Enhancement Program set originally, and lake
12 fertilization and issues associated with that. As
13 some of the work by Hyatt and McQueen and others
14 in the Nimpkish system have recently shown, that
15 climate, warming trends, associations between
16 freshwater discharge also have implications in
17 terms of how much productive capacity there are
18 within rearing lakes, to support the growth and
19 development of sockeye as young rearing
20 individuals.

21 So again this is the devil is in this detail
22 here. Lorenzen is not necessarily the best
23 reference for this, and I know Jeremy Hume, and
24 out of Hume in '96, and the context is a little
25 bit skewed in terms of this discussion. So
26 although the general concept is appropriate,
27 again, the detail is associated with individual
28 rearing lake systems.

29 For example, Chilko is a partially glacial
30 turbid lake. Because of our conversation this
31 morning about euphotic zones, it has a different
32 capacity, carrying capacity, if you will, to
33 support juvenile sockeye, and that's probably in
34 the range, if I were to give it a number, around
35 five kilograms of fish per hectare. And a place
36 like Harrison, on the other hand, or even going to
37 Quesnel, those lakes and those systems have a
38 capacity to support somewhere in the order of
39 eight to ten kilograms, if not more, of sockeye
40 biomass within the lake system. So, you know,
41 lakes and freshwater systems produce different
42 size and characteristics of smolts.

43 If you go to the very West Coast of sockeye
44 distribution into some of the coastal lake
45 systems, what you'll find is sub-one gram smolts
46 leaving, less than six centimetres, you know, fish
47 about this size leaving to the ocean and doing

1 just fine in terms of returns. But again the
2 example is wholly dependent on the conditions in
3 the ocean that they're receiving into. If it's
4 one of these considered a warmer poor years, then
5 you get opportunities for enhanced predation. So
6 it's a combination of those influences, for sure.

7 Q But it seems for sure you wouldn't want smolts
8 that are more susceptible to a shortage of food,
9 and more susceptible to prey in the -- I'm talking
10 about the Strait of Georgia area. You wouldn't
11 want that scenario to be happening if you were
12 managing a fishery and had some control over it.

13 A You'd like animals that are in good shape leaving
14 for the ocean, yes.

15 Q Yes. All right. Your Ph.D. work, I think, was in
16 freshwater systems; is that correct?

17 A Yes.

18 Q Did that work include the carrying capacity of the
19 systems that you looked at?

20 A Yes.

21 Q You mentioned, I think, when you were being
22 examined on your qualifications, the top-down
23 effect. That means overgrazing, does it not,
24 driving down the food web?

25 A The conventional models on this ecosystem-like
26 approach in trophic systems is top-down/bottom-up.
27 Bottom-up being how much fertilizer or how much
28 nutrients is there on a field for grass to grow.
29 The top-down influence is if we've got caribou in
30 the area feeding on the grass, how many wolves
31 there might be that eat caribou.

32 Q Yes. Did you -- did you study the situation in
33 Lake Ontario after the introduction of chinook in
34 that system?

35 A No, I did not.

36 Q Are you aware of that being top-down overgrazing?

37 A Lake Ontario is actually, I would consider that to
38 be a poor example for a number of reasons. At the
39 same time as the issue and there was another
40 Johansson (phonetic), Eva I believe her name was,
41 out of the Centre for Inland Waters that was
42 working in those areas looking at some of those
43 dynamics in trophic level issues. At the same
44 time, Lake Ontario is a specific example, is and
45 was receiving lots of nutrients that were driving
46 the system. So the changes in characteristics of
47 species like alewife and perch and pickerel and

- 1 all those things became fairly important. So, I
2 mean, I'm not sure if that's a practical example
3 here at all.
- 4 Q All right. Well, it's getting far from the topic.
5 And I take it that you were not asked to review
6 changes in the food web, the sockeye food web in
7 the freshwater system. That's beyond your study?
- 8 A In this study, yes, I was not asked to do that.
- 9 Q Yes. But you did look at an earlier experiment in
10 the Rivers Inlet area, I think you mentioned; is
11 that correct?
- 12 A No. What I was mentioning was some early work
13 where I was asked to comment on the general
14 characteristics and productive capacity of
15 Owikeno, and that was relative to some early work
16 in the Nass and some of the other coastal system
17 lakes.
- 18 Q All right. I'd like, Mr. Lunn, if we could bring
19 up the Walters, Goruk, and Radford paper that I
20 sent around a week or so ago. This is a paper
21 entitled "Rivers Inlet Sockeye Salmon: An
22 Experiment in Adaptive Management". I think it
23 was Tab 16 of --
- 24 MR. MCGOWAN: I'm sorry, just before we move on, I'm
25 going to suggest that we put the page numbers of
26 Report 8 that were referred to on the record.
- 27 MR. HARVEY: Well, do we want to put the whole exhibit
28 in? It's going to go in eventually.
- 29 MR. MCGOWAN: Yes, Mr. Commissioner, I'd suggest we
30 hold off on entering it as an exhibit until the
31 witness comes. But for the sake of the record I'm
32 going to suggest we put the page numbers on the
33 record that were referred to.
- 34 THE REGISTRAR: Pages 73 and 74 will be marked as
35 Exhibit 744.
- 36 MR. MCGOWAN: No, I'm not suggesting, sorry, Mr. Giles,
37 that anything be marked. I am just suggesting
38 that those page numbers be put on the record.
39 That somebody say them into the microphone. You
40 have now said them, so they will be on the record.
- 41 MR. HARVEY: All right, thank you.
- 42 Q Mr. Lunn, could we have the next -- oh, I'm sorry,
43 no, it's not that one, it's the one either before
44 or after that. That's it, Rivers Inlet Sockeye
45 Salmon, and there's mention of your work, I think,
46 at page 256, the right-hand column, towards the
47 bottom right quadrant. Yes. Towards the end of

1 that paragraph we see 1989 and 1991 in brackets,
2 and then it says "K. Hyatt and M. Johannes",
3 that's you, I think, and that's the work you did
4 with Kim Hyatt, is that right, that's referred to
5 here?

6 A It is. It was a contribution to my NSERC post-
7 doctoral fellowship.

8 Q It says, "personal communication", and then it
9 says:

10 ...however, based on lake carrying capacity,
11 presmolt densities, and typical egg-smolt
12 survival rates for sockeye salmon, suggest
13 that the number of smolts required to
14 adequately seed the lake might be produced by
15 as few as 250,000 spawning adults.
16 as few as 250,000 spawning adults.

17 So that was your conclusion; is that correct?

18 A I don't have the information in front of me at
19 this time, and I'd have to -- I can expand on what
20 that might mean in terms of a calculation, but it
21 seems a bit high.

22 Q It seems a bit high. But if we look in the upper
23 left-hand corner, there's a graph, Ricker graph,
24 "Figure 3 - Stock-recruitment pattern for Rivers
25 Inlet", I think this is based, yes, on historic
26 data from 1948 to 1973, and it would appear that
27 somewhere between zero and 50,000 spawners is the
28 -- would be optimum. Do you know if that
29 coincides with your study, or did your study have
30 the optimum level?

31 A The work we generated, and I'm not sure where --
32 where this information comes from here,
33 particularly in terms of the recruits and
34 spawners. I do know that represented in Dr.
35 Walters' reference list are not a series of other
36 publications that are supporting the Owikeno,
37 Rivers, Smith Inlets areas that are obviously
38 absent in terms of review of this information.

39 The confounding issues associated with
40 spawners and recruits, for Rivers Inlet
41 particularly, are for many years there was no way
42 to separate them from the Skeena stock catch, and
43 identify who was doing what. And in terms of
44 enumeration of spawners back into the Rivers Inlet
45 system, more than 60 percent of the major river
46 systems in the Owikeno area itself are glacially
47 systems in the Owikeno area itself are glacially

1 turbid. For many years they have gone in and
2 tried to beach seine there and make estimates of
3 numbers of spawners, and most people agree that's
4 been pretty ineffective.

5 So backing up to what I might have said and
6 why I might have said it, if I come back to the
7 unit that I gave you a little bit earlier, which
8 is kilograms per hectare.

9 Q Yes.

10 A The estimate for Owikeno, because it's a glacially
11 turbid lake, it only supports so much productivity
12 where little zooplankton can grow so big because
13 there's only so much water column there. What you
14 do when you start to look at a series of lakes and
15 compare them as rearing habitats, you probably
16 would get an expression that says somewhere around
17 two kilos per hectare of - and that means surface
18 area of the lake - two kilograms times the surface
19 area of the lake gives you an estimate of the
20 amount of sockeye that might be produced there.
21 And if you back-calculate based on an average of
22 one gram per sockeye, then you can kind of come
23 out with a number, and then you back-calculate it
24 to effective females, and so on. And it's all
25 based on assumptions, of course. But really what
26 it characterizes is that Owikeno is a type of lake
27 has got a lower productivity than a Quesnel-like
28 lake.

29 Q Yes. All right. You can't remember your
30 conclusion, but if it wasn't 250,000, it was less
31 than 250,000; is that the best you can say?

32 A I honestly cannot remember any of those details.
33 I would happily work up some information for you,
34 but at this time I'm not -- it escapes me, I'm
35 afraid, I'm sorry.

36 Q And the point is that if you go over that number,
37 whatever it is by, say, two or three times, you
38 run the risk of producing an undersized smolt with
39 low energy levels; is that correct?

40 A I don't think that's the case in Owikeno.
41 Certainly reaching an upper carrying capacity of
42 some lakes would, in fact, I mean, lots of the
43 work by Kyle in Alaska shows that in some lake
44 systems there is definitely a nutrient deficit
45 there, that that causes them not to grow as much
46 because what it's called is density dependence.
47 And when you get density at high level, the

- 1 dependence on the food supply becomes very, very
2 evident, and each of the rearing lakes in the
3 Fraser will be unique in that issue.
- 4 Q What is the limiting factor in the Owikeno system
5 that you looked at?
- 6 A The limiting factor in the Owikeno system will be
7 light transparency, how much freshwater discharge
8 influences the glacial flour deposition into the
9 lake and how much of that euphotic zone we spoke
10 about transparency-wise is available for
11 zooplankton to grow in that area. That's the
12 limiting factor.
- 13 Q Yes. So the availability of zooplankton is the
14 limiting factor in that system.
- 15 A It certainly is one of the strong limiting factors
16 in that system.
- 17 Q All right.
- 18 A Because these guys can't even see them.
- 19 Q Okay. But just to see what happened there, if we
20 go back to page 254 towards the bottom of the
21 page, the experiment, it's described in the paper,
22 is to raise quite dramatically the escapement
23 levels. And if we go a little lower there -- so,
24 yes, sorry, that's the graph. And the graph shows
25 the "Total" column, right at the bottom, total
26 escapements, the average in the 1950s, 316, in the
27 '60s, in the '70s it gets up to 373, 1980 it's
28 313, and then some dramatic increases take place
29 in '81 and '82, '83 and I think they continued.
30 Those amounts would be considerably in excess of
31 what you determined to be the carrying capacity of
32 that lake system; is that correct?
- 33 A If those numbers are real, then they presumably
34 would be a lot of fish returning to the Owikeno
35 system. And the reason I would suggest that they
36 may or may not be an artefact of the data used to
37 derive them, is for the reasons I spoke of before.
38 You go into the Whonnock River, or the Washwash,
39 or any of those, they're incredibly glacially
40 turbid. When you look at the numbers associated
41 with the final digits on any of those escapement
42 estimates, they're zeroes because they are rounded
43 large estimates. And there's a lot of information
44 derived on Rivers Inlet which again I say is not
45 published in Carl's paper, which talk about the
46 inadequacy of the information used to derive these
47 escapement estimates.

1 Q But whoever was counting, estimating the
2 escapement, was doing the best he or she could,
3 correct?

4 A Right. And there seems to be some sort of change
5 between 1980 and '81.

6 Q Yes. Well, I mean, it was a deliberate experiment
7 that's described in here to increase the spawning
8 levels, the assumption being that there was
9 greater capacity than you later determined in that
10 lake system, correct?

11 A There certainly was an experiment, and I'm not
12 sure about the numbers here, but the carrying
13 capacity of Owikeno is and does only support a
14 number of young salmon growing and developing in
15 it.

16 Q Yes. For example if we look at page 257, I think
17 there's a passage that describes what they were
18 doing. 257, the left-hand column, the upper
19 quadrant, if we start about eight lines down that
20 paragraph it says:

21
22 The DFO explicitly stated that the new long-
23 term escapement target would be 1,000,000
24 spawners subject to review when recruits from
25 the 1979-1984 spawnings had begun to add new
26 (and hopefully informative) data points on
27 the stock-recruitment relationship. Thus DFO
28 was explicit about labelling the rebuilding
29 plan and higher escapement target as an
30 adaptive or experimental policy;...

31
32 That's what was going on at that time; is that
33 correct?

34 A Apparently, by this text, yes.

35 Q And then if we go to the next page, 258, the top
36 quadrant there, about halfway down that top
37 paragraph it says "Estimated runs for 1985-1988",
38 so now we get the results of those increased
39 spawning runs:

40
41 Estimated runs for 1985-1988 were only about
42 half of the forecast values based on average
43 historical recruits per spawner; the Ricker
44 curve, estimated either with or without
45 various bias corrections, resulted in lower
46 forecasts (which were not made public)
47 because it predicted lower recruits per

1 spawner following the experimental escapement
2 increases that were apparently realized for
3 1981-1983.

4
5 And then dropping down under the heading "Why the
6 Experimental Policy Failed", it says:

7
8 From a scientific viewpoint, we might argue
9 that the Rivers Inlet experiment has been a
10 great success. It appears that the
11 predictions of the Ricker recruitment model
12 have been confirmed, and that the optimum
13 escapement is indeed only about 400,000 fish.

14
15 And over at the right-hand column, the upper
16 quadrant, is the -- oh, yes, the paragraph
17 beginning "The experiment":

18
19 The experiment has certainly not been a
20 success from the commercial fishers'
21 viewpoint. They have seen a drastic loss in
22 catch, even allowing for the years (1979-
23 1980, 1984, and 1990-1991) when they would
24 probably not have been allowed much fishing
25 in any case. They have seen a large
26 reduction in the number of days fishing per
27 season, followed by an exhaustingly long
28 opening (11 d) in 1988. In return for these
29 sacrifices, all they have heard is that maybe
30 there has been a run of poor years for marine
31 survival...

32
33 So it was put down to poor marine survival in the
34 '80s, which was a time when the Fraser run, I
35 think we will see, was increasing.

36 But I want to ask you about the reference
37 that I read that "these results were not made
38 public". And you said yesterday that your
39 carrying capacity analysis, so far as you know,
40 you described it as a grey publication, or used
41 the word "grey", I think meaning it was never made
42 public; is that correct?

43 A In this case it's a pers.com, so I don't know it's
44 resulting kind of document. Kim Hyatt was the
45 first author of that discussion, so...

46 Q Right. But you were in the DFO here for a time,
47 and I'm talking about the '85 to '88 time period,

1 and I'm suggesting that's the time when the DFO
2 should have learned something critically important
3 from this Rivers Inlet experiment. But at the
4 same time they were embarking on a similar
5 experiment to increase the escapement levels in
6 the Fraser. I want to ask, did you ever tell
7 anyone in the DFO how critically important it is
8 to do a good habitat assessment of spawning and
9 rearing areas before increasing spawner abundance.

10 A I can't actually say whether I did or not. At
11 that time I was still just going to be starting my
12 Masters degree, I'm afraid, and was in Ontario
13 still, so those things I'm not sure about.

14 Q Would you agree with the proposition that before
15 embarking on an experiment, whether in Rivers
16 Inlet or in the Fraser, which involves dramatic
17 increases in spawner abundance, a precautionary
18 approach would dictate doing a proper habitat
19 assessment beforehand?

20 A I think it would be part of the contributing
21 issue, and part of the discussion, for sure. But
22 someone like Dr. Peterman could certainly address
23 some of the characteristics of escapement and
24 issues, and Dr. Walters has worked on and
25 published extensively on over-escapement in
26 systems. And there's lots going on in that issue
27 for sure, and so I think your questions are better
28 suited for Mr. English, last week, and Dr.
29 Peterman potentially tomorrow. I'm not sure
30 that's an area I can speak confidently in.

31 MR. HARVEY: All right. Thank you, Dr. Johannes.
32 Those are my questions.

33 A Thank you.

34 MS. BROWN: Thank you, Mr. Commissioner. For the
35 record, Anja Brown, and with me is Crystal Reeves,
36 and we're appearing for the First Nations
37 Coalition. And for Dr. Johannes's benefit, I'll
38 advise you that the First Nations Coalition is
39 made up of First Nations from up and down the
40 Fraser River, as well as the Douglas Treaty
41 Nations, the Council of Haida Nation, and is also
42 comprised of fishing organizations along the
43 Fraser River, aboriginal fishing organizations,
44 that is.

45 MR. HARVEY: I'm sorry to interrupt. I forgot to ask
46 that the exhibit we referred to be marked. I
47 wonder if that could be done.

1 THE REGISTRAR: That will be marked as Exhibit number
2 744.
3

4 EXHIBIT 744: Walters et al, Rivers Inlet
5 Sockeye Salmon: An Experiment in Adaptive
6 Management, 1993
7

8 CROSS-EXAMINATION BY MS. BROWN:
9

10 Q Dr. Johannes, in reviewing your report, and I
11 won't ask you to go to pages 15 and 16, but as you
12 know, those set out the various sources that you
13 went to, to compile the report. And I'm wondering
14 if any of the data that you relied on was produced
15 by any of the Lower Fraser First Nations.

16 A If those sets of information -- I do not know the
17 full answer to that, but all our information is
18 well cited and articulated in Maps 3 and 4, and
19 20-plus pages of references at the end of the
20 report articulate individual observations that
21 were accounted through something called the
22 Fisheries Information Summary System, FISS, and in
23 lots of cases I know of personal examples where
24 First Nations have contributed to that data
25 system.

26 Q Can you provide us with some specific examples?

27 A In this case I'm afraid it's a little overwhelming
28 to try to articulate exactly what those examples
29 might be at this time.

30 Q All right. I noted from your c.v. that there was
31 a period of time that you worked for the Nuu-chah-
32 nulth, and you managed and coordinated fishers and
33 habitat projects. And I'm wondering if that's the
34 sort of information that might have been utilized,
35 specific to the Fraser, of course, as part of the
36 data that went into your report. Are you able to
37 advise us of that?

38 A I can advise you clearly that I made a statement
39 on pages 13 and 14 about information and use of
40 information, and my own beliefs about local
41 ecological knowledge and traditional ecological
42 knowledge in the concepts of developing
43 understanding of habitats. Towards that end, it's
44 not on my c.v., but I am well published in an area
45 where that understanding and knowledge is in many
46 cases integral into how you develop some of this
47 information.

1 For example, one of the pieces of information
2 that I was very privileged to be part of was work
3 with Tla-o-qui-aht out of the Tofino/Esowitsa area
4 on the West Coast Clayoquot area. And in one
5 opportunity I had we flew a number of river
6 systems in helicopter, created a digital imagery
7 that was almost 100 feet long if you rolled it
8 out. In fact, we did. We rolled it out to
9 council and subsequent to that -- chief and
10 council, and subsequent to that asked them to
11 populate it with, you know, good information that
12 was of usable and something that they were able
13 and willing to distribute and particulate with.
14 That actually created an atlas, and you can find
15 it online, on the Clayoquot Valley in a number of
16 areas, that articulates pretty clearly the use of
17 local knowledge and traditional knowledge in
18 developing and understanding of the
19 characteristics of environments and habitats at
20 local and specific scales. It's wonderful,
21 wonderful, wonderfully useful information to
22 understand how things change and how things are
23 changing. It certainly is a record of use.

24 Q Right. I couldn't agree with you more on that.
25 it sounds like it's something that may have been
26 used in your report, but you're not able to tell
27 us for certain at this time. It's something your
28 team may have relied on.

29 A Given the information sources that we used, yes.

30 Q All right. Mr. Lunn, could you turn up, please,
31 our document 9. Now this is the 2009-2010 Annual
32 Report for the Burrard Inlet Environmental Action
33 Program and Fraser River Estuary Management
34 Program, and the Fraser River Estuary Management
35 Program is often known as FREMP. And I believe,
36 if I heard you correctly earlier this morning, you
37 made reference to FREMP.

38 A Yes, indeed.

39 Q Right. And I'm going to ask you some questions in
40 relation to this annual report, but my questions
41 will only be directed to FREMP and not to Burrard
42 Inlet. Now, for the benefit of the record I'll
43 just point to page 6, which tells us very briefly
44 what FREMP is and what they do. And FREMP is
45 described as an:

46
47 ...inter-governmental partnership established

1 to coordinate the environmental management of
2 the two most significant aquatic
3 ecosystems...
4

5 So one is Burrard Inlet and the FREMP is specific
6 to the Fraser River Estuary. It goes on to say
7 that FREMP was established in 1985.

8 Page 7 illustrates some of the partners that
9 are part of FREMP, including representatives of
10 the B.C. Minister of Environment, Environment
11 Canada and Fisheries and Oceans.

12 I'm wondering, Dr. Johannes, if you can tell
13 us what you know about FREMP and if it's something
14 that you've been involved in, in your professional
15 capacity.

16 A Yes, I know about FREMP and I have been involved
17 in the process of working with FREMP
18 professionally in my tenure with Golder in terms
19 of review of projects.

20 Q Page 13 of the report summarizes some of FREMP's
21 highlights for that particular year, and the
22 heading there refers to FREMP's Management Plan,
23 and it indicates there that in 2003 the Estuary
24 Management Plan was updated to reflect current
25 realities and new actions. And I'm wondering, is
26 the FREMP Management Plan something that you or
27 members of your team would have looked at and
28 considered in the development of your report?

29 A At a very broad level, yes. In terms of
30 articulating and referencing it within the
31 characteristics of the report, only as needed, as
32 it associated with particular human development or
33 human activity-related indicators that we were
34 using. In terms of our articulated section 5
35 within the report on Habitat Strategies, we do
36 make reference to FREMP and the association in
37 terms of its regulatory functions and review.

38 Within the context of my own professional
39 life, working with many of our proponents and
40 clients, they use that as a -- not as an
41 environmental policy so much as a guiding vision
42 for approaches that they use and develop in the
43 area, and working there. So those are all
44 laudable kind of objectives.

45 Q Right. Now, pages 18 and 19 and 20 go into some
46 detail on the environmental review process, and on
47 page 18 to start with it indicates there that

1 FREMP uses what they call a two-track process for
2 reviewing projects, so Track 1 projects are ones
3 that are generally predictable, and it seems to be
4 that they are smaller scale activities, they
5 describe them as having little public interest,
6 low risk of environmental impact. And a little
7 lower in that top paragraph they talk about Track
8 2 projects, which they indicate are proposals of a
9 more complex nature, generally have a greater
10 potential for environmental impacts.

11 The next paragraph down at the bottom they
12 say that:

13
14 Review of Track 2 projects is the main
15 function of the Environmental Review
16 Committees.

17
18 So did in the preparation of your project, did
19 anyone on your team specifically look at this
20 environmental review process and some of the Track
21 1 or Track 2 projects that FREMP considered?

22 A We did not explicitly look at the Track 2 process,
23 although that's embedded in the larger FREMP
24 review process, and we do make comment about the
25 Environmental Review Committee, both of FREMP and
26 in part the municipalities that also use and
27 adhere to that kind of process. Track 2 projects
28 are also in many cases larger projects, as you
29 articulated, and they are the ones that were
30 captured for sure in the larger major projects
31 kind of inventory that we did. We have and have
32 provided to the cumulative effects chapter, you
33 know, the complete list of those projects, and
34 when I review those projects sort of in my mind,
35 or even on a map with others of our team, we can
36 articulate those projects that were part of our
37 review. So, yes, it was involved in this.

38 Q so some of the projects that FREMP identifies as
39 Track 2 projects may actually have been identified
40 in your report as the major projects. Did I get
41 that right?

42 A Yes.

43 Q All right. Page 20 of the report gives some
44 examples of projects and they include
45 "Construction (land-based structures)", which
46 could really mean almost anything, "Dock and float
47 works", "Dike works", "Marina", "Rip-rap",

1 "Dredging", that sort of thing. When you look at
2 this list, are these generally projects that you
3 would identify as small projects or as major
4 projects?

5 A Within the 341 projects that I listed or indicated
6 that we used this morning, I can see
7 representation of across the Lower Fraser from
8 most of these with the exception of things like
9 rip-rap and vegetation management, potentially
10 outfalls. Certainly demolition, breakwater, dike
11 works, filling, pipe works, dock and float works,
12 constructions, are all features of projects that
13 we have developed in a database. But you're
14 correct, some of them are larger and smaller
15 projects.

16 If I go back to one of your earlier
17 statements about the Track 1 type of projects and
18 their review, it's quite characteristic of the
19 notification process that Fisheries and Oceans
20 Canada now uses when it talks about operational
21 statements or guidelines, an approach where, for
22 example, you're replacing a culvert. There is an
23 operational statement that exists that says this
24 is what thou shalt do --

25 Q Right.

26 A -- when doing that sort of thing. And I tend to
27 view Track 1 types of projects not like that, but
28 sort of consistent with that sort of approach, if
29 that's fair.

30 Q Right. But your report only considered major
31 projects, correct?

32 A I'm getting lost in what "major projects" really
33 means.

34 Q As you identified them in your report.

35 A Yes, is the short answer. But each of the
36 projects was individually articulated, whether
37 it's a large and small project, when it was
38 reviewed, when it was constructed, when it was
39 operating, those sorts of parts of the database
40 did exist. So we had staff that spent a good long
41 time looking for projects to involve in it. That
42 said, we did not do, which I was asked this
43 morning about, basically looking for the audit
44 compliance kind of issues associated with those
45 habitat features on those projects.

46 The first or the third section of this
47 report, independent of the fifth section of this

1 report, dealt with what was the spatial and
2 temporal kind of overlap between these kind of
3 projects and their potential effects and sockeye
4 habitat use.

5 Q Do you happen to know whether there are any First
6 Nations representatives as part of the
7 Environmental Review Process under FREMP?

8 A My first initial response is I don't think that's
9 the case, but I'm trying to think of examples
10 where I have been in front of FREMP with a review
11 and have had people participate from a bunch of
12 different agencies, including First Nations. And
13 I'm not sure of the answer to that, but as
14 articulated in here, it's certainly not clear how
15 First Nations participate.

16 MS. BROWN: If I could enter that as the next exhibit,
17 please.

18 THE REGISTRAR: Exhibit number 745.

19
20 EXHIBIT 745: Annual Report - Burrard Inlet
21 Environmental Action Program, Fraser River
22 Estuary Management Program (FREMP), 2009-2010
23

24 MS. BROWN:

25 Q Dr. Johannes, I'd like to ask you next a series of
26 questions that have to do with wastewater. And I
27 noted that in the scope of your work one of the
28 things, of course, as we've heard that you looked
29 at were water quality conditions on the Lower
30 Fraser and in the Strait of Georgia. And you've
31 been asked and answered various questions in
32 relation to the conclusions that were drawn in
33 respect of liquid waste. And I'll just go to page
34 43 of your report, which summarizes that part of
35 the report. And what the report says there is
36 that you note that there will be likely
37 interaction with Lower Fraser River and Fraser
38 River Estuary sockeye habitats, and you also note
39 the presence of wastewater treatment plants on the
40 Lower Fraser. And we've heard about that
41 yesterday and today in terms of primary and
42 secondary and tertiary plants. Are there any
43 tertiary plants that are currently operating on
44 the Lower Fraser?

45 A Not that I know of, no.

46 Q And are you able to tell us what tertiary plants
47 can do that secondary plants can't?

1 A I am not an expert in this area. My conceptual
2 knowledge of them is that they remove the last
3 parts of the biosolids out of the wastewater.

4 Q Now, still on page 43, then, you identified the
5 Central and North Strait of Georgia areas and the
6 Juan de Fuca Strait as a nil interaction, and that
7 the interaction with sockeye habitats was not
8 expected to be significant in those areas. And I
9 won't take you to it, but as you know, Map 9B
10 shows the location of the various water treatment
11 plants on the Lower Fraser.

12 Now, isn't it the case that the Capital
13 Regional District and in particular the City of
14 Victoria, doesn't treat its sewage at all. Is
15 that accurate?

16 A I did not report on any of that in this report,
17 and I assume that they're changing things, but I
18 don't know the full answer to that.

19 Q Okay. So there's no evidence in your report about
20 what happens in and around Victoria, and you say
21 that you don't know whether they have sewage
22 treatment plants there or not. Was that something
23 that you or anyone on your team looked at?

24 A No.

25 Q Why wasn't that looked at?

26 A In part it was outside the scale and scope of this
27 project because it was fairly well defined that it
28 was within the Strait of Georgia that we were
29 looking, and the Juan de Fuca Strait was something
30 that we added because it was being used as sockeye
31 habitats. The other issue is just generally on
32 Maps 12A, B and C, the characteristics of the Juan
33 de Fuca area suggests that it's quite a very mixed
34 rich cold area that is influenced by limited
35 change. And when you go to references like Mason
36 and Cummings, they fairly clearly say that it's a
37 very active mixing current area and there seem s
38 to be little influences. And from that I inferred
39 the association one to limited, more limited use -
40 I won't say limited use - more limited use by
41 sockeye as habitat relative to the rest of the
42 Strait of Georgia in a northward passage for young
43 salmon made it a little bit less a larger
44 indicator issue for us to use.

45 As I think I have said, you know, the
46 discharge points, areas of discharge, the amount
47 of discharges, it is an indicator that we just

1 could not explore, the data was way too scattered
2 to actually accumulate and assemble in some
3 semblance of a manner that provided an efficient
4 indicator. But within the indicator framework
5 that someone like Stahlberg suggests for the Wild
6 Salmon Policy, discharge permitting points and
7 things like that, is a useful indicator, and I
8 think at a finer scale it probably would be of
9 use. So we just didn't have opportunity to use it
10 in this case.

11 Q Well, we heard from you yesterday that some
12 populations of juvenile salmon spend up to a month
13 in the Strait of Georgia.

14 A Probably longer in some cases.

15 Q Right. And I believe Map 4 of your report, and
16 again I won't take you there, or ask you to go to
17 it, but it indicates that there's a southern
18 migration route of salmon that appears to pass
19 directly by the City of Victoria. So if it's in
20 fact the case that there is untreated sewage being
21 discharged into an area through which salmon flow,
22 how are you able to justify a conclusion that
23 there is nil impact on those salmon.

24 A It's a relative contribution and that's again the
25 way we were apprising this situation is relative:
26 has there been a change, a dramatic change that
27 suggests an influence. If in fact there was
28 suddenly a tertiary treatment system in Victoria
29 that came on line, the suggestion would have been
30 that would have been a large change in the system.
31 Can we view how that might positively or
32 negatively influence sockeye use.

33 At the same time, as we spoke about
34 yesterday, the Johannessen references in terms of
35 PBDEs and their accumulation at outfalls,
36 particularly reference to Iona Island, is another
37 area of where proximally sockeye use those
38 habitats. And what that reference and that set of
39 information indicated was very proximal to the
40 outfall of Iona Island itself was the accumulation
41 of that material, and that the sockeye were
42 sitting not at 120 metres but at 10 to 15 metres
43 in the water surface, using an actively mixed area
44 and migrating fairly quickly.

45 The evidence associated with Harrison river-
46 type sockeye that might have the preferred use of
47 the Gulf Islands and then the southern route out,

1 suggests that they grow and rear in and around the
2 southern Gulf Islands and across the Strait of
3 Georgia, and when they get into the Juan de Fuca
4 area, as Mark Trudel's work and some of Dick
5 Beamish's work has indicated, they actually chug
6 pretty quickly out of that area, out to the
7 Pacific Ocean itself.

8 So the summary of those sorts of issues and
9 combined suggest to me in terms of at least a
10 speculation as I'm progressing here, that that
11 influence may have some merit, but it's not going
12 to be one of those particular indicators that
13 suggest this was a consequences or a causal
14 feature associated with declines in sockeye salmon
15 at the population level.

16 Q But isn't that really an example of a conclusion
17 that's drawn in the absence of any evidence?

18 A Yes.

19 Q Do you know if there have been any specific
20 studies done about the water quality in and around
21 the City of Victoria?

22 A There is, I would assume, and I believe I've even
23 seen it maybe ten years ago, a CRD, Capital
24 Regional District, is probably collecting
25 monitoring information in some ways. But I am not
26 privy to what that information looks like --

27 Q All right.

28 A -- or how it has changed, or what it reflects.

29 Q And am I correct, then, that to take it a step
30 further, you're also not aware whether there have
31 been any such studies done that relate directly
32 to what impact, if any, untreated sewage has on
33 sockeye salmon habitat?

34 A I am unaware of such a study.

35 Q Could you turn up, please, our Tab 4. Now, this
36 is the Summit on Fraser Sockeye Salmon:
37 Understanding Stock Declines and Prospects for the
38 Future. And what it says at the Preface is that
39 this is a scientists' think tank that met back in
40 December of 2009 to consider causes for the low
41 returns on the Fraser River. Is this think tank
42 or summit something that you participated in or
43 were aware of, Dr. Johannes?

44 A I was aware of.

45 Q Now, what I'd like to do is to take you to page 23
46 of that report, please. In the right-hand column
47 at the top, the heading is "Lacking information

- 1 about the north arm of the Fraser". And one of
2 the participants there who's a fisherman directs a
3 series of questions at Mike Lapointe, who I
4 understand to be or at least at that time to have
5 been a member of the Pacific Salmon Commission.
6 And the questions there are directed at concerns,
7 really, about the outfall of sewage out of the
8 Annacis Island treatment plant and the presence of
9 chemicals that are coming down the North Arm of
10 the Fraser. And this particular participant and
11 the response from Mr. Lapointe seems to indicate
12 that there's nothing, or perhaps very little known
13 about what's happening on the North Arm of the
14 Fraser, and that there's been no research done.
15 Is that something that you agree with?
- 16 A Water quality data in the Lower Fraser is limited.
- 17 Q And is that true for both the North and the South
18 Arms?
- 19 A Yes, to some extent. Yes.
- 20 Q And in the preparation of your report, did you
21 make any distinction between the North Arm and the
22 South Arm and what was happening in either of
23 those, or did you look at it more on a global
24 perspective?
- 25 A We articulated what evidence there was in terms of
26 the observations of sockeye habitat use in those
27 areas. We did attempt, strongly attempt to
28 accumulate the water quality information for much
29 of those regions as one of our indicator-like
30 approaches to this. We were unsuccessful in doing
31 that, but in terms of using the existing studies
32 to assess the use of those habitats by sockeye, we
33 certainly did that exhaustive search, which I was
34 speaking about this morning. So we considered
35 both areas as best reflected in the information
36 that was available.
- 37 Q Now, going over the page to page 24, the
38 discussion there considers some of the compounds
39 that we discussed yesterday, and it says at the
40 top of the page, compounds such as
41 pharmaceuticals, including endocrine disrupting
42 compounds, a trend in fire retardant chemicals,
43 and indicating there that that was correlated in
44 terms of the time pattern with the early upstream
45 migration of the Fraser sockeye. In your report,
46 did you consider any correlation between the
47 migration of Fraser River sockeye and the presence

1 of these particular chemicals?

2 A As a broad indicator we spoke about contaminants
3 in a number of the map sheets and within the
4 report. AS you know, Dr. Hinch spoke about adults
5 and timing and considerations of the
6 characteristics of their environment in another
7 technical report, and Mr. MacDonald will talk
8 about contaminants in detail and give it a much
9 better coverage than anything I could ever do.

10 Q And then if we could go briefly to page 118,
11 please. This is a further discussion about
12 contaminants in sewage and emerging concerns, and
13 there's discussion there about Triclosan, which is
14 described immediately above the table there as an
15 insidious antibacterial agent. And I know you've
16 told us that you're an expert on wastewater
17 treatment plants and what they're able to filter
18 out, and what they can't, but I'm wondering, do
19 you know if the primary and secondary wastewater
20 treatment plants along the Lower Fraser have the
21 capability to deal with Triclosan?

22 A I do not know that.

23 Q And the report goes on from pages 121 to 124, and
24 I won't take you to them in the interests of time,
25 but there's further consideration there about
26 other compounds of concern, including ammonia and
27 cadmium, and I'm wondering in the preparation of
28 your report did you look at the Greater Vancouver
29 Sewage and Drainage District Annual Reports?

30 A Certainly as best as we could. But again I'm
31 relying on Mr. MacDonald to actually review most
32 of the contaminant issues and those associated
33 with discharge rather than it was not just part of
34 our scope that was important.

35 Q And in your report you concluded that the impacts
36 on Fraser River sockeye salmon habitat as a result
37 of the discharges that are emitted from wastewater
38 treatment plants was nil or low, and I think you
39 indicated that it was in part because of the short
40 period of time that the fish are exposed to these
41 chemicals and other compounds; is that right?

42 A That's one approach to say that, yes. The other
43 issue associated with that is there is limited
44 trophic interaction between them, meaning that
45 sockeye don't and are not benthivorous animals, so
46 they're not feeding on those areas, whereas we
47 explored yesterday with the paper that I suggested

1 and we have cited de Bruin's work on movement of
2 materials from sediments into mussels, and then
3 Dr. Johannessen's work on contaminants and the
4 characteristics and comparisons between PCBs and
5 PBDEs. So both those areas, both the exposure and
6 the use of the environment, sockeye are not well
7 exposed to those things is the first line of
8 issue.

9 The second is every document that you've
10 referenced and cited to me suggests that Metro
11 Vancouver to some extent, even maybe the Capital
12 Regional District, are attempting to improve their
13 standards of water quality and discharge from all
14 these plants and areas.

15 Q Well, we don't know what Victoria is doing,
16 correct?

17 A It's not referenced in this report, yes.

18 Q Yes. All right. And if I heard you correctly
19 this morning, you indicated that the sorts of
20 contaminants that might not be captured by
21 wastewater treatment might affect salmon in ways
22 other than by actually ingesting them as food,
23 that it could potentially affect the capacity of
24 their gills and that sort of thing; is that right?

25 A I think Dr. Hinch's commentary probably does a
26 much better job of articulating those issues than
27 I would.

28 Q All right. And in terms of the limited period of
29 time that fish may be exposed to these sorts of
30 chemicals, what I'm wondering is if the fish is
31 taking advantage of the currents in the Fraser
32 River, then aren't the contaminants flowing
33 alongside the fish?

34 A I'd assume that we'd have to explore how those
35 contaminants are transmitted, but if we go with
36 what is suggested in Metro Vancouver's Annual
37 Liquid Waste Management Monitoring Reports and
38 other characteristics, much of that is deposited
39 in the sludge or in the sediment areas. Annacis
40 is a secondary treatment system, so I'm not sure
41 how much of its material is disposed of as actual
42 sludge, although we give tonnes per year as a
43 characteristic in here. And as I was indicating,
44 Johannessen's work that is one of the exhibits
45 suggests that it accumulates in first sediments,
46 rather than re-suspends into the water column.
47 But again, that information, that study would be

1 of use.

2 Q All right. And the material that's deposited as
3 sludge is the material that's captured by the
4 treatment plant, correct?

5 A It's captured by the treatment plant and
6 discharged.

7 Q Right. So my concern, or my question, really, is
8 in relation to those compounds that may not be
9 captured or aren't captured by primary or
10 secondary treatment plants and their potential
11 effect on fish, since conceivably these compounds
12 will be travelling in the water, the same water
13 that the fish are travelling in as they leave the
14 Fraser River and enter the Strait of Georgia. So
15 they not be exposed to the compounds for a
16 particularly limited period of time. Do you agree
17 with that?

18 A No, I still don't agree with that, but I do
19 suggest that Don MacDonald will do a much better
20 service on this whole topic. And the reason I
21 don't agree with it is because discharge,
22 particularly for migrating juvenile salmon, it's
23 an incredible amount of water that's flowing out
24 of the Fraser River and these guys are moving
25 incredibly fast with the flow, and they can get
26 out into clean water fairly quickly. If you
27 consider days of exposure as hours of exposure or
28 months or weeks of exposure, I mean, that's the
29 characteristic of understanding how fast they move
30 through those areas, but you know, that duration
31 of exposure, the dilution factors, all those
32 things still suggest to me that relative to our
33 analysis of sockeye population level
34 characteristics and these indicators that, if
35 anything, those situations have improved in the
36 treatment process, at least that's what the
37 written monitoring and other reports suggest. And
38 the other comparison to that is that sockeye move
39 through these habitats very quickly.

40 So the comparison just says, is that one of
41 the reasons that sockeye have declined? It's not
42 a smoking gun evidence piece. Is it a
43 contributor? It may very well be. But I can't
44 answer the details on some of that.

45 Q All right. Now, if I could take you to page 40 of
46 your report for a moment, please. And I just have
47 a question there. So this is Table 2. Mid-page

1 where you speak to "Significance of potential
2 interactions", and here of course you're looking
3 at population and changes in population size. And
4 the second bullet there you indicate that:
5

6 Although the duration of interaction is high,
7 it has been ranked as low because it is
8 expected that habitat conservation strategies
9 will avoid and limit negative interactions
10 with sockeye habitat.
11

12 And I'm wondering if you can advise us of what
13 conservation strategies specifically you're
14 referring to there.

15 A I make reference to a couple of pieces of
16 information there. One is edge effects and the
17 other is conservation strategies. One of the
18 conservation strategies, for example, if you work
19 in and around the City of Burnaby, they have
20 another, not standard, but a review approach,
21 which is independent of DFO's approach, which
22 allows you access to and in those areas. Their
23 standards for riparian habitat management and
24 edges is a very conservation-oriented strategy.
25 And so they go through an independent
26 environmental review committee process through the
27 City of Burnaby to articulate those issues.

28 The second issue is this edge effect. Edge
29 effect is, you know, where are development
30 projects, including urban development or outfalls,
31 or any of those types of issues in terms of
32 development, allowed to occur now, and they're not
33 allowed to occur in many of those areas. There's
34 large buffer areas. The **Riparian Area Regulations**
35 or for the City of Burnaby or the City of
36 Coquitlam, for example, it's a 15-metre or a 30-
37 metre buffer area around riparian areas and river
38 systems. So those edge effects are implied. Now,
39 as I always have maintained, I mean, that's a leap
40 of faith, that's an assumption that those
41 regulatory issues are adhered to, complied and
42 have effective audit on them.

43 From our view and articulation of this issue
44 in this report, what we've said is we believe
45 these ERC processes and the management issues and
46 the regulatory structure and the approaches that
47 have been implied here, are better than they were,

- 1 and we don't know the exact dimensions of loss and
2 gains on some of these habitats, but we know that
3 the characteristics are improving. And because
4 things are potentially improving and we're getting
5 more experience in developing habitats that are
6 gained as opposed to lost, that it would give us a
7 reference point that say this is again not one of
8 these strong issues that supports a causal link to
9 declines in sockeye salmon. But within that, the
10 Lower Fraser, we certainly say that there's a
11 moderate geographic overlap there, between
12 population level or development issues, or those
13 sorts of things. So, you know, we go through our
14 reasoning here and articulate it as best as we
15 can.
- 16 Q Right. Now, in response to a series of questions
17 that were asked earlier of you today by Mr.
18 Leadem, and this was when he was asking you
19 questions about restoration of marsh habitat, I
20 believe I heard you to say that one of the ways to
21 mitigate and to deal with the washing away of new
22 habitat was through habitat banking.
- 23 A One is a strategy and one is a technological
24 technique-oriented process.
- 25 Q All right.
- 26 A No, they don't link.
- 27 Q And when you were giving your evidence earlier
28 today, which one of those two terms were you
29 referring to when you were talking about habitat
30 banking?
- 31 A Oh, habitat banking --
- 32 Q Yes.
- 33 A -- is a strategy approach.
- 34 Q And what is it?
- 35 A Basically, I'll give you an example, for the Port
36 of Montreal in the St. Lawrence River. Port of
37 Montreal has an annual dredging program, where
38 near their berths where the St. Lawrence River
39 flows out, there's lots of sand that's deposited
40 in areas and it actually makes the depths of where
41 the berths are change, and in fact increases or
42 reduces the amount of water there. So every year
43 they've been given an opportunity through
44 Fisheries and Oceans Canada and other groups to
45 actually dredge that material out.
- 46 Well, they take that material and if you look
47 at the historic characteristics of the St.

1 Lawrence in that area, you find all these little
2 sand gravel bars and dunes and everything else
3 that are around. What the Port of Montreal has
4 been doing is creating these, independent of any
5 other work, they've been creating these as
6 opportunity allows them, and creating larger
7 complex, more diverse types of habitat that have
8 opportunities to grow and develop, independent of
9 any review process, independent of any kind of
10 characteristic for habitat policy that might be
11 assigned to their activities or projects.

12 So what they do is, it's called a banked
13 habitat. They collect a number of square and
14 cubic metres of areas and they say we would like
15 that expressed on the ledger. And I'm not saying
16 whether this is good or bad. I'm just saying this
17 is how it's done. They express that on a ledger
18 saying we'd like the regulatory agencies to
19 understand that we're creating this habitat with
20 hope that if we get into a bind we can use some of
21 it to balance our habitat loss and gains on the
22 balance sheet.

23 Q All right. So you didn't mean literally creating
24 a bank or a rip-rap or something like that.

25 A Oh, I see.

26 Q It's a strategy.

27 A I'm sorry, I rattled on there for a little while
28 about that. No, it's not a bank. No.

29 Q And just to close off that line of questioning,
30 I'm wondering has habitat banking as a strategy
31 been used on the Lower Fraser?

32 A My understanding is that FREMP and the Port, Metro
33 Vancouver, are engaged in some of those
34 activities.

35 Q Mr. Lunn, could I have Tab 6 now, please, and this
36 is the last document that I'll be referring to.
37 This is a document that's called "Saving the Heart
38 of the Fraser" and it was written in 2000 and I
39 see it was prepared by Dr. Marvin Rosenau, who we
40 heard about earlier this morning, he was one of
41 the reviewers of your report, of course, and his
42 co-author, Mark Angelo. It was prepared for the
43 Pacific Fisheries Resource Conservation Council.

44 So first of all, I'll ask you, Dr. Johannes,
45 is this a document that you're familiar with?

46 A Not strongly familiar with, but I certainly know
47 some of its contents.

1 Q All right. I'd like to take you through it. And
2 I'll start at the bottom of page 1. This is in
3 the Executive Summary" so to summarize there, the
4 paragraph discusses the many impacts that European
5 settlement have created to the waters and the
6 floodplain areas of the heart of the Fraser. And
7 the writers describe it as extensive and
8 significant change, that it's compromised
9 expansive habitats, and they say there that
10 impacts continue to occur as a result of land
11 clearing, diking, watercourse draining, forestry,
12 mining, agriculture. They say:

13
14 Thus, the remaining environmental and
15 ecological integrity of the instream and
16 riparian areas of the...Fraser is at imminent
17 risk.

18
19 Do you agree with that statement?

20 A Yes, as it defines a lot of species' habitats.

21 Q If I could take you next to page 79, please.
22 Sorry, before we go there, can we go to page 4,
23 please. And what's set out on pages 3 to 5 are 17
24 concerns and recommendations that are made by the
25 author. And at number 10, they articulate a
26 concern about rip-rapping, and they describe it
27 there as armouring the banks of the gravel reach,
28 and that it often destroys fish habitat. They say
29 the extensive placement of this material has
30 largely disrupted natural fluvial processes and
31 the proper functioning of the condition of many
32 banks of the river between Hope and Mission. It
33 goes on to say that:

34
35 A solution could involve purchases and
36 decommissioning of existing, but not
37 critical, locations of rip-rap bank
38 protection within the reach in order to
39 provide compensation under the **Canada**
40 **Fisheries Act**, the [CEAA] and the No-Net-Loss
41 Policy, for areas where the placement of new
42 rip-rap is unavoidable.

43
44 Are you able to make any comments about rip-rap
45 and if it's something that you looked at
46 specifically in the preparation of your report?

47 A I can make comment about rip-rap. Within the

1 context of this report, not explicit
2 characteristics of stream banks that had extent of
3 rip-rap kilometre-type habitats, no. Part of the
4 commentary about rip-rap relates to people that
5 we've spoke about numerous times, Quigley and
6 Harper. They actually wrote a "Streambank
7 Protection with Rip-rap: An Evaluation of the
8 Effects on Fish and Fish Habitat", as editors in
9 2004. So that document exists and goes into a lot
10 more of an audited kind of approach about the
11 effectiveness and use of rip-rap and
12 characteristics. That said, engineers appreciate
13 the use of this sort of thing. People live along
14 the banks of the Fraser River where floods and
15 other things occur. So all sorts of compromises
16 are intended with the commentary that Dr. Rosenau
17 and Mr. Angelo have commented through their
18 recommendations here.

19 THE COMMISSIONER: Take the break, Ms. Brown, thank
20 you.

21 MS. BROWN: Thank you.

22
23 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)
24 (PROCEEDINGS RECONVENED)
25

26 THE REGISTRAR: The hearing is now resumed.

27
28 CROSS-EXAMINATION BY MS. BROWN, continuing:
29

30 Q Dr. Johannes, turning back to the Heart of the
31 Fraser report, if I could turn your attention,
32 please, to the bottom of page 85. This is the
33 part of the report that deals with bank armouring
34 and it explains there for those us that don't know
35 that an extremely destructive activity affecting
36 the proper functioning condition of the Fraser
37 River gravel reach has been the extensive
38 armouring of its stream banks and it says bank
39 hardening, or armouring, is intended to stop
40 erosion along a stream perimeter. And if we go
41 over to the next page, 86, at the top, what the
42 authors there say is that:
43

44 Bank armouring of the gravel reach could be
45 considered equivalent to arteriosclerosis of
46 the Heart of the Fraser. Indeed, the effect
47 of rip-rap is so insidious and destructive

1 that it is the view of some experienced
2 habitat biologists that it should be classed
3 as a deleterious substance under the Canada
4 Fisheries Act.
5

6 Do you agree with those statements in terms of
7 bank armouring and rip-rap?

8 A Along the extent of the time period they're
9 speaking about, yes.

10 Q Staying on page 86, if we go down to the fifth
11 paragraph, it notes there that most of the
12 extensive bank hardening has already been in place
13 by 1990 but it notes there that the activities
14 continue to occur in locations that are of
15 interest to protect infrastructure. And it goes
16 on there to provide specific examples of bank
17 hardening along the Fraser River. Do you agree
18 that, given that this sort of activity, as well as
19 rip-rap is continuing, that those sorts of
20 activities have a role to play on the impact of
21 Fraser River sockeye salmon habitats given the
22 comments made here by these writers?

23 A I think the characteristics of both diking and
24 development of rip-rap for flood protection and
25 for erosion issues associated with fish habitats
26 is a very important issue, absolutely fundamental.
27 As I pointed out, the rip-rap report that Quigley
28 and Harper edited in 2004 suggest, they went
29 through and other authors examined fish
30 distribution in and around those areas and found
31 there was something lacking in terms of the
32 habitat characteristics of those environments and
33 the types of fish that use them on a continuous
34 basis.

35 In terms of the use at a population level by
36 sockeye salmon, it's a bit of another story. What
37 we have seen through a series of evidence, which
38 we speak about in this project, and this is the
39 major portion of the Fraser populations of sockeye
40 for young salmon migrating they often stick to the
41 middle/centre part of the Fraser River and its
42 discharge. And that area is called the thalweg.
43 And so what the information suggests is that
44 they're two to five metres in depth and they're
45 just chuggin' out, they're flowing with the flow.
46 And so the implications of this issue, I don't
47 discredit as being absolutely fundamentally

1 important to fish species as a whole, probably
2 assignments to coho and chinook and other species
3 like that, it's fundamental. If it's an issue
4 associated with sockeye, the two points that I'll
5 make are, one, it's not such an extensively-used
6 habitat environment by population level Fraser
7 sockeye.

8 Secondly, what we are seeing is clear
9 examples where people are certainly in this
10 evolution of understanding experience in dealing
11 with rip-rapping or habitat restoration issues,
12 are starting to explore other options to use
13 there, including that Pitt River inset example I
14 have in the report on inset number 1, which
15 suggests that they've broken that trend and tried
16 something else. So there's an evolution there so
17 change is happening. Whether it's going to be
18 progressive and thoughtful, those are the parts of
19 the recommendations I certainly go on to make a
20 lot of discussion about. In terms of its use for
21 habitat, well, there's lots of discussion about
22 its ineffectiveness.

23 MS. BROWN: Right. If I could enter that as the next
24 exhibit, please. And then finally just quickly,
25 if I can turn up Tab 3 from our list of documents?

26 THE COURT: Ms. Brown, before you do that, Tab 4, was
27 that marked as an exhibit?

28 THE REGISTRAR: That was Exhibit 12 already.

29 THE COURT: That's Exhibit 12, thank you.

30 THE REGISTRAR: Yes. Item 6 will be marked as Exhibit
31 746.

32
33 EXHIBIT 746: Saving the Heart of the Fraser
34 - Addressing Human Impacts to the Aquatic
35 Ecosystem of the Fraser River, Hope to
36 Mission, Nov 2007
37

38 MS. BROWN:

39 Q And finally then, I would just like to ask you one
40 or two final questions about this document. It's
41 a Review of Groundwater - Salmon Interactions in
42 British Columbia and it's prepared in '06 by Tanis
43 Douglas. Have you seen this paper before?

44 A In passing, yes.

45 Q All right. I'm just going to ask you a couple of
46 general questions about groundwater. And in this
47 paper, the author talks about two of the benefits

Mark Johannes

Cross-exam by Ms. Brown (FNC)

Cross-exam by Mr. Dickson (STCCIB)

1 of groundwater to habitat, that it sustains stream
2 base flow in rivers and, secondly, that
3 groundwater discharges stabilize temperatures in
4 the river and provide thermal refuge for fish.
5 And I'm wondering if you considered the effect
6 that increasing population and agriculture and
7 industry along the Fraser River, the impact that
8 that had on groundwater and, in turn, the impact
9 that that would have on Fraser River sockeye fish
10 habitats.

11 A In this report, no.

12 Q And why not?

13 A One, there's not a good set of evidence that
14 describes the water extraction, the actual
15 physical extraction of water in those areas. Two,
16 the linkages to the characteristics of river
17 temperature is a study into itself. And so it was
18 just beyond the scope of this set of work. It was
19 just not possible.

20 Q All right. Thank you.

21 A Is it something that should be done? Oh, sure,
22 that'd be a great idea.

23 MS. BROWN: Could that document be entered as the next
24 exhibit, please? And those are my questions.
25 Thank you.

26 THE REGISTRAR: That will be Exhibit 747.

27 MS. BROWN: Thank you.

28

29 EXHIBIT 747: Douglas, Review of Groundwater
30 - Salmon Interactions in British Columbia,
31 Nov 2006 [Watershed Watch]
32

33 MR. DICKSON: Mr. Commissioner, it's Tim Dickson for
34 the Sto:lo Tribal Council and Cheam Indian Band.
35

36 CROSS-EXAMINATION BY MR. DICKSON:
37

38 Q Dr. Johannes, I want to explore a little bit with
39 you the conceptual approach you took in your
40 report. And a number of times I've heard you say,
41 and I've read in your report, that in respect of a
42 particular human activity, one of the ten that you
43 looked at, there was no change in that activity
44 that might explain the decline of Fraser sockeye.
45 Do you know what I mean by that?

46 A At a concept level, yes.

47 Q And so I'll just take you to a few examples in

1 your report, if I could.

2 MR. DICKSON: Page 42, Mr. Lunn?

3 Q This is on large industrial projects. And if you
4 look at the bottom, the last bullet, you say:

5
6 A low ranking was assigned for areas adjacent
7 to sockeye habitat in the Lower Fraser area
8 because the evidence available indicates that
9 habitats have not been in a state of decline
10 over the 1990 to 2010 period.

11
12 And so you're looking at the change over that
13 period; is that correct?

14 A Yes.

15 Q And then if we go over the page to 43, the third
16 bullet on "Significance of Potential
17 Interactions", and this is relating to waste, you
18 say:

19
20 The magnitude of effects from wastewater
21 treatment discharge has been decreasing over
22 the period of time under study, as treatment
23 plants have been expanded and upgraded to
24 become more effective.

25
26 And again, it's the change you're looking at over
27 that time period; isn't that right?

28 A Yes.

29 Q And so is what you're saying essentially this?
30 Look, this human activity doesn't explain the
31 decline in Fraser sockeye because that decline has
32 been going on since the early '90s and from 1990
33 this human activity hasn't increased? And so
34 there's no causal effect there; is that correct?

35 A I was very careful in this concept and, as you can
36 see, there isn't a struggle with the approach
37 here. You know, we defined an approach and went
38 for it. We looked at the series of indicators.
39 The struggle was articulating that approach well
40 knowing that, yes, there's change in rip-rap.
41 There's characteristics that are happening, all
42 those things. So to summarize that, on page 63
43 and 64, I was very careful. And as a team, we
44 were very careful to write this passage that
45 talked about:

46
47 Given the extensive special scale of the

1 observed biophysical changes within the
2 habitats used by Fraser sockeye, the
3 confluence of when changes occur relative to
4 the Fraser sockeye decline and the
5 mechanistic basis for the adverse effect.
6

7 That passage was the one that we tried to use to
8 reflect the characteristics of the report. It's
9 the very last passage of the report. So I mean,
10 that one, it talks about the mechanism and the
11 confluence of those issues over time. And so that
12 is certainly reflective of what we tried best to
13 achieve.

14 Q Yes, but let me get at it again. When you're
15 looking at these ten different factors, and for
16 some of them you're finding, look, this factor
17 doesn't go to explaining the decline because there
18 has been no increase in the impact of this factor
19 and there may be a decrease. Is that so?

20 A Yes, it is so.

21 Q And so I want to explore two aspects of this type
22 of analysis with you, if I could, and the first is
23 cumulative effects. And you said in response to
24 Mr. McGowan yesterday that you didn't perform a
25 cumulative effects analysis; is that right?

26 A In the true sense of a cumulative effects analysis
27 comparing past and present and future projects and
28 their special and temporal overlap with the
29 association of these indicators, no.

30 Q And when I read your report, it seems to me that
31 you're looking at the ten factors in isolation
32 from one another; is that a fair enough comment?

33 A I think they accumulate as human activities in
34 different spheres of influence. The scope that
35 you've just described is a subsequent chapter in
36 the technical reporting series for the Commission.
37 So we did not achieve that portion of the scope
38 for sure.

39 Q Right. It's not in your report. You're not
40 conducting that analysis?

41 A No.

42 Q Very well. But for those factors where you're
43 saying, look, there's been no increase in this
44 human factor and so that doesn't explain the
45 decline, would you still agree that those human
46 factors nonetheless negatively impact sockeye?
47 They might not explain the decline by themselves

- 1 but they may be restricting a sockeye population's
2 ability to adapt to some other environmental
3 change; is that fair?
- 4 A I think you're right. There's an accumulation of
5 stresses that are very profound. If we extend
6 your point to an analogy, the dikes of the Lower
7 Fraser, and we go into a lot of detail about that
8 and, as does Dr. Rosenau in various documents. In
9 this case, we speak a lot about the diking of the
10 Fraser and, you know, over time there's been
11 probably an incredible loss of both salmon, fish
12 and sockeye habitats within that. Has that
13 changed over the last two decades that might be a
14 causative or confluence link to the declines of
15 the Fraser sockeye now? No. Is there a potential
16 impact historically that that certainly has got a
17 legacy almost? Absolutely. That's why we're
18 seeing examples like inset 1 where we're suddenly
19 opening up dike faces and doing things a little
20 bit differently. So yeah, there's lots of issues
21 out there. That's absolutely true. Is there a
22 confluence to the declines of sockeye salmon at
23 the population level? That's what we've been
24 discussing.
- 25 Q And if the largest contributing cause of the
26 decline is, say, the warming of waters within the
27 Strait of Georgia, or, say, within the Fraser
28 River itself, other factors that you've looked at
29 may aggravate that problem; is that fair enough to
30 say?
- 31 A As we were exploring with the issues about rearing
32 lakes and having smaller-sized animals that are of
33 poor condition, sure. All those things are
34 stressors. And do they accumulate? Well, better
35 minds than mine will be able to address those
36 sorts of issues. As Dr. Hinch has described, the
37 accumulation of temperature stresses into adults
38 in some way are expressed in a bunch of different
39 ways. That's absolutely for sure. So how these
40 accumulate as stresses in young salmon or in adult
41 salmon certainly is a piece of key issue and
42 indicators.
- 43 Q And when we read your report and you say, look,
44 there's a low magnitude of impact or a nil
45 magnitude of impact, we shouldn't necessarily take
46 it from that that this is not a problem for
47 sockeye but rather that it's not the cause of the

1 decline; is that fair? I mean it may be an
2 aggravating factor when combined with something
3 else.

4 A I think to expand on that. In concept, I agree
5 with what you just said. And how population size
6 accumulates relative contaminants to stress out
7 sockeye, both adults and juveniles, that's an
8 issue. But by qualitatively ranking these things,
9 and it infers back to some of the severity in
10 disease and impacts in disease that you've seen.
11 Those are qualitative analysis, just as this one
12 is. If we put numbers across this, nil would be a
13 zero and a low would be a one. In the same
14 characteristics, when you see lows expressed,
15 we're not saying there's nothing there. When we
16 even say a nil, it's not saying that there's not
17 this ongoing stress, if we're talking about a
18 change in the population over this last period of
19 time. So sure they accumulate. I do agree.

20 Q I want to ask you about a second aspect of your
21 analysis and that's lag effects, what I'll call
22 lag effects. You restricted your study to the
23 period of 1990 to 2010 and I understand you had
24 limited time to prepare your report. But would
25 you agree that there may have been effects that
26 took place, construction that took place prior to
27 1990, the effects of which, the impacts on sockeye
28 of which were delayed in their effects past 1990?

29 A I attempted to express that a little bit earlier
30 today. First off, I would like to say that most
31 of the limitations are not necessarily time-
32 related but information-related, what was
33 available to use as part of this report rather
34 than, you know, time constraints. The second part
35 is when we spoke this morning when I was asked
36 this morning the generation time issues associated
37 with anadromous salmon is a very curious event in
38 that there is no kind of stock memory or race
39 memory for an individual salmon population other
40 than survival and success. So if they're spawned
41 in a particular area and they survive relative to
42 their neighbours that spawned in another area,
43 then the only proof in the legacy of the issue is
44 their survival. So in terms of legacy of projects
45 and issues on salmon, that's only represented by
46 their ability to survive. And what we've been
47 seeing is salmon not declining until a certain

1 period.

2 What I also can say is when we represented in
3 our figure on page 58 the no net loss policy being
4 implemented, the understanding was that before
5 that period losses of habitats was not prohibited
6 and that this articulated piece of policy approach
7 within the **Fisheries Act** and its characteristic
8 allowed projects to not do the same sorts of
9 things. So the general intent there is I am not
10 sure about the legacy of the effects of lots of
11 projects. I can say, though, that the major pulp
12 mills, most of them have been shutting down. The
13 regulatory issues applied to pulp mills and their
14 discharge were improving greatly. The effluent
15 from discharges on wastewater treatment plans,
16 similarly. The regulatory influence on
17 development of projects has been enhanced. The
18 compensation and restoration habitat techniques
19 and technology have been improving.

20 So those, as a sum, suggest, you know, that's
21 not necessarily consistent with thinking about a
22 legacy influence on projects.

23 Q Let me take you to Mr. Rosenau's general comments.
24 MR. DICKSON: This, Mr. Lunn, is what was provided to
25 us earlier in the day by Dr. Levy. And I'd like
26 to go first to the third page of it, if I could.
27 So Dr. Johannes, these are the additional comments
28 by Mr. Rosenau that we didn't have access to
29 yesterday and this morning but now we do. And
30 you'll see that there are three block quotations.
31 And I wanted to take you to his comment under the
32 second block quotation. So down toward the bottom
33 of what's on the screen now, "Study should have".
34 So this is addressing your statements regarding
35 your review of the impact of large industrial
36 sites. Mr. Rosenau says:

37
38 Study should have encompassed impacts that
39 have precipitated the decline prior to the
40 last 20 years as opposed to just over the
41 last 20 years. Impacts may have occurred
42 before 1990 that triggered things that only
43 started to manifest themselves after 1990.
44 SOW does not restrict the analysis from 1990
45 to 2010.

46
47 And so I think it's fair to say that Mr. Rosenau

1 was of the view that there could have been impacts
2 pre-1990 that had carryover effects, effects that
3 lagged and started to manifest after 1990. You
4 agree that's his concern?

5 A I agree that's his suggestion on that very early
6 draft, yes.

7 MR. DICKSON: And if we go to page 25, Mr. Lunn? Thank
8 you.

9 Q So this is his comments on your Map 8, which is
10 relating again to the industrial projects, the
11 major industrial projects. And on this page, that
12 second paragraph, he says:

13
14 What is important, from a sockeye view, is
15 that things that happened a decade or two
16 before 1990 may have only started to be felt,
17 from a fish perspective, some decades later.

18
19 And again, so he's saying there are lag effects or
20 there can be lag effects and these must be taken
21 into account. You agree that's what he's getting
22 at there?

23 A I agree that's what his view is at that point,
24 yes.

25 Q And then if we turn over the page, he starts going
26 through some of the key issues that need to be
27 addressed. And at the top of that page, he's
28 saying that:

29
30 Key to the productivity of salmon utilizing
31 the Fraser estuary is the large, shallow
32 tidal flats that are abundant here—fish
33 production is reduced when the young salmon
34 are partially or completely restricted from
35 these rich feeding grounds.

36
37 And then he gives examples in the next slides of
38 restrictions of access to those feeding grounds.
39 And the first is the B.C. Ferry causeway and you
40 can see with the yellow lines, I think he's
41 indicating that the fish used to go right across
42 that causeway and now they have to go around it.

43 MR. DICKSON: And if we go down, Mr. Lunn, to the next
44 one.

45 Q It's the same thing for the superport.

46 MR. DICKSON: And then over the next page, Mr. Lunn,
47 thank you.

1 Q There are two jetties there, the North Arm Jetty
2 and just below it, the Main Fraser Channel Jetty,
3 and both of those, he's saying, are blocking
4 access to productive feeding grounds. And so he's
5 saying, I think, when I put the two pieces
6 together that, you know, these were put into place
7 before 1990 but they continued to have effects and
8 the effects may have been lagged/delayed past
9 1990. Did you take into account the B.C. Ferry
10 and Roberts Bank Superport causeways and the two
11 jetties? I didn't see specific consideration of
12 those in your report.

13 A Map 8 has those two particular features
14 articulated in a map, of course, and so, as you
15 will note from Dr. Rosenau's discussion here, he
16 uses the words "juvenile fish", "juvenile salmon",
17 in multiple, multiple areas. One of the very,
18 very first issues that we tried to address was, so
19 what habitats are sockeye? Sockeye is a species
20 using and not using. So you go through the
21 extensive literature material that we provided and
22 all of Maps 3 and 4 and they come out fairly
23 definitively as saying the population level for
24 the Fraser sockeye do not use these habitats.

25 Now, as I've said yesterday, if I were
26 looking at chinook, chum or even coho salmon in
27 this same reference point and discussing these
28 same projects, I would be saying something
29 different. But the characteristics associated
30 with sockeye salmon habitat use is the following.
31 The North Arm very infrequently is used by sockeye
32 salmon, as a migratory corridor as juvenile salmon
33 out. The southern arm, extensively used. They,
34 as we spoke probably an hour ago or so, they use
35 the thalweg or the main river system, which means
36 that middle/centre, big sausage of velocity and
37 they get spit out into the Strait of Georgia.
38 They are not particularly feeding. They're not
39 doing anything other than travelling.

40 And that's why we made really good effort of
41 trying to put together an understanding of what
42 they used and what they didn't use because that
43 certainly confounds the whole expression, as it
44 associates with sockeye about what's important and
45 what's not. So I was very careful about that
46 issue. And those projects were important to
47 consider. Absolutely. But sockeye, in all the

1 work that's been on Berth 2 for Terminal 1, you go
2 through the environmental baseline assessments for
3 those areas and they're not capturing sockeye;
4 they're capturing chum and chinook.
5 Q I want to just turn, just in the last few minutes,
6 to one last issue. And that is, again,
7 consideration of the quality, the productivity of
8 the sockeye habitat, when it's replaced in these
9 compensation programs. And I heard in your
10 exchange with Mr. Rosenbloom, he was asking you
11 about the quality of the sockeye habitat in the
12 compensation programs. And you said, I believe,
13 that you did address habitat quality, as opposed
14 to aerial extent, habitat productivity, in Maps 3,
15 4 and 15 by assigning colours that correspond to
16 the use of that habitat by sockeye. And you were
17 saying that sockeye use indicated habitat quality.
18 Do you remember that exchange?
19 A Yes.
20 Q And I guess my simple point is, I believe that he
21 was asking you those questions again in the
22 context of habitat compensation. So just the
23 lands that have been compensated for laws, not
24 more broadly the habitat that is used by sockeye
25 because when I look at those maps they're on quite
26 a broad level and I don't see that they're
27 focusing on habitat compensation. Would you agree
28 with that?
29 A Yes.
30 MR. DICKSON: Okay. Those are my questions. Thank
31 you.
32 MR. MCGOWAN: Mr. Commissioner, just in terms of
33 marking the -- I'm going to suggest that we mark
34 both of the comment sheets that were distributed
35 to counsel, the comments of Dr. Reynolds and the
36 comments of Dr. Rosenau, that were inadvertently
37 not included in the report. I'm going to suggest
38 that they be marked as 735B and C so they're kept
39 with the report.
40 MR. LUNN: There are actually three documents. Rosenau
41 also provided general comments, which is what Mr.
42 Dickson has been referring to.
43 MR. MCGOWAN: I believe the first part is already
44 included in the report at pages 94 -- or in the
45 high 90s.
46 MR. LUNN: Okay, great, thank you.
47 THE COURT: So it's B and C, is that...

1 MR. MCGOWAN: I'm going to suggest B and C. A, you
2 will recall, was the errata sheet.
3 THE COURT: Right. Okay. Thank you.
4 THE REGISTRAR: So for Reynolds, will be B, 735-B, and
5 Rosenau will be 735-C.
6 THE COURT: Right.

7
8 EXHIBIT 735-B: Reynolds, Review of Cohen
9 Commission Technical Report 12, Jan 13, 2011

10
11 EXHIBIT 735-C: Rosenau, Review of Cohen
12 Commission Technical Report 12, Dec 22, 2010,
13 and General Comments, Dec 2010 - Jan 2011

14
15 THE COURT: Thank you.
16 MR. MCGOWAN: That concludes the examination of Dr.
17 Johannes.
18 THE COURT: Thank you very much, Dr. Johannes.
19 A Thank you.
20 THE COURT: We're adjourned until tomorrow morning at
21 10:00, Mr. McGowan?
22 MR. MCGOWAN: Yes, tomorrow at 10:00.
23 THE REGISTRAR: The hearing is now adjourned until ten
24 o'clock tomorrow morning.

25
26 (PROCEEDINGS ADJOURNED TO APRIL 20, 2011
27 AT 10:00 A.M.)

28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47

1 I HEREBY CERTIFY the foregoing to be a
2 true and accurate transcript of the
3 evidence recorded on a sound recording
4 apparatus, transcribed to the best of my
5 skill and ability, and in accordance
6 with applicable standards.
7
8
9

10
11 _____
12 Karen Hefferland

13 I HEREBY CERTIFY the foregoing to be a
14 true and accurate transcript of the
15 evidence recorded on a sound recording
16 apparatus, transcribed to the best of my
17 skill and ability, and in accordance
18 with applicable standards.
19
20
21

22
23 _____
24 Diane Rochfort

25 I HEREBY CERTIFY the foregoing to be a
26 true and accurate transcript of the
27 evidence recorded on a sound recording
28 apparatus, transcribed to the best of my
29 skill and ability, and in accordance
30 with applicable standards.
31
32
33

34
35 _____
36 Pat Neumann

37 I HEREBY CERTIFY the foregoing to be a
38 true and accurate transcript of the
39 evidence recorded on a sound recording
40 apparatus, transcribed to the best of my
41 skill and ability, and in accordance
42 with applicable standards.
43
44
45

46
47 _____
Karen Acaster